

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Monday, June 16, 2014

1 PARTICIPANTS:

2 RICHARD COWART, Chair
Electricity Advisory Committee

3 DAVID MEYER
4 Designated Federal Officer Electricity
Advisory Committee

5 HONORABLE PATRICIA HOFFMAN
6 Assistant Secretary for Electricity
Delivery and Energy Reliability

7 KEVIN LYNN
8 Director, Grid Integration Office of
Energy Efficiency and Renewable Energy

9 LARRY MANSUETI
10 Director, State and Regional Assistance
11 DOE Office of Energy Policy and Systems
Analysis

12 CARL PECHMAN
13 Advisor, DOE Office of Energy Policy and
Systems Analysis

14 RON MELTON, Ph.D.
15 Director, Pacific Northwest Smart Grid
16 Demonstration Project and Administrator,
17 GridWise Architect Council, And Senior
Technical Leader, Smart Grid Research
and Development Projects
Pacific Northwest National Lab (PNNL)

18 CLARK GELLINGS
19 Fellow, Electric Power Research
Institute (EPRI)

20 DOUG LARSON
21 Executive Director, Western Interstate
Energy Board (WIEB)

22

1 PARTICIPANTS (CONT'D):

2 STEVE BEUNING
3 Director, Market Operations Xcel Energy

4 MIKE KORMOS
5 Executive Vice President, Operation PJM
6 Interconnection, LLC

7 CARRIE CULLEN HITT
8 Senior Vice President, State Affairs
9 Solar Energy Industries Association

10 * * * * *

11
12
13
14
15
16
17
18
19
20
21
22

1 P R O C E E D I N G S

2 CHAIRMAN COWART: If you would please
3 take your seats. Thank you. I'll call the
4 meeting of the Electricity Advisory Committee to
5 order. And as the committee members know, each of
6 these meetings is recorded and a transcript is
7 made and posted. If there are members of the
8 public present, they will have an opportunity to
9 speak to the committee tomorrow afternoon, and
10 they should sign up. There's a sign-up sheet for
11 anyone who wishes to address the committee.
12 Committee members should know that because a
13 transcript is being made, they need to speak into
14 the microphones, and your mic needs to be on when
15 you're doing that.

16 Thanks as always to NRECA for providing
17 this meeting space. We really appreciate it.

18 One of the topics for this meeting
19 actually -- we'll go around in a minute and
20 everybody will introduce him or herself -- it's to
21 sort of give some updates about committee
22 membership, and to acknowledge the service of

1 those who have served on the committee and will be
2 leaving us, mostly due to term limits that are
3 imposed on committee membership, but to
4 acknowledge specifically the work of Barry Lawson,
5 Mike Heyeck, Tom Sloan, and Ralph Masiello, who
6 have all been really seriously contributing
7 members of this committee in writing, reviewing,
8 commenting, organizing over their tenures.

9 And so, I want specifically to recognize
10 them along with three other departing members for
11 whom this is not their last meeting because they
12 actually already have left the committee. That is
13 Val Jensen, Claire Moeller, and Phyllis Reha. So
14 we've seen some turnover here, and there are also
15 some new faces to introduce. And that when we go
16 around, I'd really ask the new people to say a
17 little bit more about themselves than just your
18 name.

19 So then, the new members are Marilyn
20 Brown, Pam Silberstein, Ramteen Sioshansi. All
21 right. Thank you. And Roy Thilly. And welcome
22 to you all.

1 I'll start the roundabout here. I'm
2 Richard Cowart from the Regulatory Assistance
3 Project.

4 MS. HOFFMAN: Pat Hoffman, Department of
5 Energy.

6 MR. MEYER: David Meyer, Department of
7 Energy.

8 MR. ROSENBAUM: Matt Rosenbaum,
9 Department of Energy.

10 MR. PETERS: Chris Peters, Intergy.

11 MS. REDER: Wanda Reder, S&C Electric
12 Company.

13 MS. SILBERSTEIN: NRECA. We like NRECA
14 better than NRECA. New member to the committee
15 and looking forward to working with you. Thank
16 you.

17 MR. SHELTON: Chris Shelton, NES.

18 MR. SLOAN: Tom Sloan, Kansas House of
19 Representatives.

20 MR. ROBERTI: Paul Roberti, Rhode Island
21 Public Utilities Commission. Also somewhat of a
22 new member. I missed the first and the last

1 meeting, but glad to be here. Thanks.

2 MR. SIOSHANSI: Ramteen Sionshansi, Ohio
3 State University, and I'm a new member.

4 MR. TILL: David Till, Tennessee Valley
5 Authority.

6 MS. WAGNER: Rebecca Wagner, Nevada
7 Public Utilities Commission.

8 MR. ZICHELLA: Carl Zichella, Natural
9 Resources Defense Council.

10 MR. BALL: Billy Ball, Southern Company.

11 MR. CENTOLELLA: Paul Centolella,
12 Analysis Group.

13 MS. BLAIR: Linda Blair, ITC Holdings
14 Corp.

15 MR. BOSE: Anjan Bose, Washington State
16 University.

17 MR. BROWN: Merwin Brown, California
18 Institute for Energy and Environment and the
19 University of California.

20 MS. BROWN: Marilyn Brown. I'm
21 professor of energy policy at the Georgia
22 Institute of Technology. Thank you for getting

1 this right. I can't tell you how many signs and
2 name tags I've had that say Georgia Tech
3 University. No, no. Anyway, and I worked at Oak
4 Ridge National Lab for about 22 years before
5 coming here, where I manage the Efficiency
6 Renewables and Electric Grid Program. I'm also on
7 the board of the Tennessee Valley Authority Board
8 of Directors.

9 MR. COE: Carlos Coe with Millennium
10 Energy.

11 MR. HEYECK: Mike Heyeck, and I'm really
12 glad to be here. Just one correction for Ramteen.
13 It's the Ohio State University. And I'm formerly
14 American Electric Power.

15 MR. HUDSON: I'm Paul Hudson with
16 Stratus Energy Group.

17 MR. LAUBY:: I'm Mark Lauby, NERC.

18 MR. LAWSON: Barry Lawson, NRECA.

19 MR. MORGAN: Granger Morgan from
20 Carnegie Mellon University.

21 MR. PEDERSON: Jim Pederson, Federal
22 Energy Regulatory Commission.

1 MR. POPOWSKY: And I'm Sonny Popowsky,
2 retired consumer advocate of Pennsylvania. And
3 I'm the Vice Chairman of the EAC.

4 CHAIRMAN COWART: All right. We
5 actually have a pretty full agenda for this set of
6 meetings here, so I'm looking forward to seeing
7 how we can squeeze everything in. As usual, we
8 begin with comments from the Department, and Pat
9 Hoffman leads us off.

10 MS. HOFFMAN: So, first of all, I'd like
11 to just express my thanks and gratitude for
12 everybody participating on the Advisory Committee.
13 From DoE's perspective, we really appreciate and
14 value your input. For the new members, I'd like
15 this to be a fun committee where we actually go
16 through topics that are very important and
17 relevant to the industry, have a robust debate
18 around it.

19 Part of this is continuing to bring and
20 transparent conversations on issues. We can
21 debate out the different issues, but look at
22 opportunities in which DoE should engage. Also

1 engage with the whole Department, but the Federal
2 family as we move forward on issues. So those are
3 some of the just kind of philosophical basis for
4 the Advisory Committee.

5 I enjoy the debates and the discussion
6 because it really pulls out the challenges and the
7 complexities around the electric industry, and
8 where we need to go, and some of the challenges we
9 have in moving forward. And it's not easy, but
10 there's a lot of things going on and a lot of
11 topics that we have to address, and I'd value
12 everybody's input that they provide the
13 Department.

14 I know that the committee finished, and
15 I had to have some folks pull it up. I signed out
16 a letter from the recommendations from the last
17 committee meetings and some of the reports that
18 you all provided. And so, I want to thank you for
19 all your comments on that. We looked at the
20 resiliency recommendations, and we've been meeting
21 an activity, engaging with White House, looking at
22 transformers. But also within the QER, you'll

1 hear a little bit later of how do we continue to
2 push resiliency and some of their
3 interdependencies. So there was some very good
4 recommendations and discussions there.

5 With respect to the Energy Storage
6 Report, of course we're required to produce an
7 Energy Storage Report every year. Every year?
8 Every other year. And so, that was very
9 synergistic in providing a balance to the report
10 that we did with -- I think it was a request by
11 Senator Wyden -- on energy storage, knowing that
12 that is a technology that has great opportunity as
13 we move forward. And so it's something that we
14 want to make sure that we continue to follow what
15 the strengths or weaknesses are with respect to
16 energy storage, and some of the market
17 opportunities. So I think those were fantastic.

18 And I wanted to see if there was one
19 other report that I wanted to bring up. Well,
20 I'll think about the other report. I know there
21 was one other thing I wanted to talk about
22 specifically regarding the recommendations.

1 But in the Department of Energy, we're
2 going to hear on the agenda the QER, a topic on
3 energy efficiency and renewable energy on
4 renewables integration and the challenges that
5 they see from the wind developer side, from the
6 renewables side. And so, I think that continues
7 to encourage the discussion, the dialogue, as I
8 would say the marketplace evolves and the
9 generation mix evolves. And the United States
10 recognizing that there are some definite needs
11 there.

12 And with that, I think I'll just leave
13 my comments to go as the sessions continue to go
14 on. But once again, thank you all for
15 participating. Thank you for your advice that you
16 give the Department. And I look forward to a
17 lively discussion.

18 So who's next? So with that, we're
19 going to move to the first presentation?

20 CHAIRMAN COWART: Actually Kevin has got

21 --

22 MR. LYNN: So I'm not Rosenbaum. I'm

1 Kevin Lynn from the Department of Energy, and I
2 work within the Energy Efficiency and Renewable
3 Energy office. And my position is a relatively
4 one. It is relatively new. Basically from EERE's
5 perspective, we've been working on sort of some of
6 the grid integration efforts for a while from an
7 office-by-office perspective. And Dr. Daniel
8 Senarsis and the Secretary was interested in
9 trying to bring all those activities together, and
10 tried to make them a little bit more holistic.

11 So really I think the purpose of this
12 presentation was, your group has been working with
13 the Office of Electricity for a very long time and
14 doing great work. And I think the purpose of this
15 was for us to sort of come to the fore and show
16 you sort of what some of our interests and
17 thoughts were in this particular area and sort of
18 come at it from our perspective.

19 So, I mean, I think one thing I'd like
20 to say is I've been working really closely with
21 both Pat and David Meyer quite a bit over the last
22 few months as part of the Grid Tech Team, so I'm

1 going to have a few slides that start off that
2 talk a little bit about sort of the overall DoE-
3 wide effort for grid, and then sort of narrow it
4 down some to talk more specifically about what
5 sort of our interests and our sort of play is we
6 feel like within the grid space within EERE.

7 And I should thank Dr. Achenbaum who was
8 the chair of the Grid Tech Team for quite a while,
9 and it's always great to see him.

10 So I know there's not a whole lot of
11 time, so let me go ahead and get started. So this
12 is, you know, a part of our daily vision, and this
13 is, again, part of the Grid Tech Team vision. So
14 this is the entire DoE-wide vision, one where
15 we're trying to develop a grid that's cost-
16 effective and reliable, clean and efficient.
17 That's very important from EERE's perspective and
18 many perspectives. Secure and resilient,
19 accessible to new technologies, and empower
20 customers with a variety of options. So this is
21 sort of a broad vision that we've developed over
22 the year or two that we've been working here on

1 the Grid Tech Team. And EERE is certainly right
2 in behind that.

3 This is sort of a slide that I'm not
4 going to go into a whole lot of detail in, but,
5 you know, as David and I have been trying to work
6 together with the Grid Tech Team more broadly
7 trying to determine what are the real challenges,
8 what does it mean? What are the attributes? What
9 are the things that the grid has to do in order to
10 be successful?

11 And, you know, based on looking some of
12 the efforts that we've had and some of the efforts
13 that we've been working with the DoE Strategic
14 Plan and having workshops and such, you know,
15 we've come up with these eight different
16 attributes that we think are core to them, and I
17 think, you know, having your input on that would
18 be really helpful.

19 But, you know, over the years I think,
20 you know, having it affordable, safe, and
21 accessible is really important, you know, going
22 back to the 1930s and then in the 1960s with some

1 of the reliability, you know, issues and
2 challenges that came up trying to make it more
3 reliable, and then with both the Clean Power Act
4 -- excuse me -- Clean Air Act, and with REO in
5 1992 trying to make it more clean. A more secure
6 system that came along with 9/11, trying to make
7 it more resilient in 2005 with Katrina and Sandy,
8 and then also trying to make it more flexible as
9 we get more wind and solar coming on board.

10 So there are a lot of attributes that
11 have come on, and we've seen some of those newer
12 challenges. You know, we've tried to narrow those
13 down to a few challenges, increasing this number
14 of devices that we have to control so the
15 uncertainty that comes from a variety of fuel
16 sources and from, you know, putting variable
17 generation, like wind and solar, on a system.
18 Two-way power flow, and increasing grid
19 instability do a lot to having some of these EERE
20 or solar and wind devices without any inertia as
21 part of the system.

22 So, you know, part of what we've been

1 trying to do is trying to see if we can develop a
2 program where we can measure, analyze, predict,
3 and control the grid in a better way that can
4 support not only sort of a national effort, but
5 also regional efforts as well and making sure that
6 we come up with an R&D that meets both of those, a
7 national and a region perspective.

8 So why is EERE interested in the grid?
9 You know, obviously over the last few years, and
10 it's kind of surprised me. I came from the solar
11 industry starting in 1998, and solar was pretty
12 much laughed at. Now today we're seeing quite a
13 scale-up of all this. This is just a chart of
14 wind and expansion over the last few years, and we
15 can see the number of gigawatts, and wind has just
16 really increased and solar is really following it.
17 So a big piece for us is making sure that we can
18 seamlessly integrate all these technologies in the
19 grid in a safe, reliable, and cost-effective
20 manner.

21 And we invest billions of dollars to try
22 to get these technologies to make them

1 cost-effective. And now we can't use them as a
2 result of making the grid more unsafe or unstable.
3 So it's key for us to make sure these
4 technologies, if people choose to use them, that
5 they can be used in a safe way. So that's sort of
6 our perspective.

7 So as part of, you know, EERE, we've
8 tried to pull everyone together again. We have 10
9 offices. We've got Solar Office, we've got Wind
10 Office, we've got Water Office, Geothermal. All
11 of them sort of approaching the grid from their
12 own perspectives. And part of the goal for me and
13 for Dr. Danielson is try to, okay, let's herd all
14 the cats and let's try to come up with a single
15 unified plan.

16 So part of that plan had to do with
17 looking at things from a variety of layers, you
18 know. We have a Buildings Program. It's very
19 active. The office director spent 30 years at
20 PG&E. Has a lot of interesting ideas on building
21 perspective. Also looking at the distribution and
22 regional perspective.

1 But then on the left-hand side we also
2 wanted to look at it from somewhat of a layer
3 perspective, sort of the device and control layer,
4 communications layer, control layer, and a market
5 layer. So we tried to sort of take those two
6 different slices approach and tried to pull those
7 pieces together.

8 You know, we have quite a variety of
9 things that we came up from, but if you look at it
10 from a regional level, and we're looking at the
11 system control layer, one of the things that we
12 wanted to do is work with obviously the Office of
13 Electricity in developing tools to incorporate
14 some of the, you know, stochastic methods to try
15 understand the variability of wind and solar
16 technologies and better integrate them into the
17 grid.

18 You know, if you looked at it from the
19 distribution scale, we've been working for a long
20 time in trying to make some of the solar inverters
21 more compatible with the grid themselves, so
22 making that be able to VAR support, voltage

1 control, being able to make sure that the systems
2 stay online in a real way if there's contingencies
3 that come on board. So trying to make sure that
4 the inverters can communicate with utilities and
5 basically can be supportive as opposed to be a
6 negative to the system.

7 And then, with building technologies,
8 you know, working to understand. So there's all
9 these different devices that we think that can be
10 integrated and can be used to support the grid,
11 trying to understand what those characteristics,
12 you know, whether it be a refrigerator or, you
13 know, a hot water system. Understand how those
14 devices can be characterized and then used to
15 support and provide not only services for the
16 building, but also services for the grid. So
17 these are some of the examples both from a scale
18 perspective and from a layer perspective how we've
19 tried to address these particular issues.

20 So, you know, those are some of the
21 challenges if we were trying to look across those
22 different scales and trying to look at some of the

1 solutions. These are some of the solutions, at
2 least from our narrow perspective, that we saw
3 that were important for us. So, you know, being
4 able to build cheaper and more affordable sensors
5 on the building scale and making them be able to
6 communicate them with the grid. You know, the
7 meter energy storage, we see that as a key piece
8 for us. Interoperability and forecasting, tools
9 and approaches for grid planning and grid
10 operations, mainly supporting OE's activities in
11 that. And obviously, you know, with all the
12 penetration of rooftop solar, start looking at
13 some of the policies, markets, and business models
14 just from a technical perspective to provide
15 technical assistance to those that are interested.
16 And we obviously are going to be working very
17 closely with UPSA and OE. You know, across the
18 board DoE is very interested in that particular
19 area.

20 So, you know, what are we actually going
21 to do? So some of the things that we're
22 interested in and we've been talking in terms of

1 Fiscal Year '15 is being able to look at doing a
2 flexibility analysis to be able to understand what
3 some of the low cost ways to incorporate more
4 flexibility. So if someone wanted to incorporate
5 more renewables, how they could do it. From a
6 Stochastic Unit commitment, we've been working
7 with OE quite a bit and trying to work with others
8 to try to make sure that we can understand sort of
9 how these tools can incorporate variability of
10 renewables better.

11 Forecasting savings, we've been doing a
12 lot of forecasting and trying to understand, you
13 know, are we getting the actual cost savings that
14 we think we should be getting from forecasts, both
15 wind and solar forecasts. Trying to understand
16 what happens when you put a high penetration of
17 solar and wind on a system, what happens if
18 there's contingencies? So does that really impact
19 the reliability of the system? So those are some
20 of the things that we're trying to look at, too.

21 And, you know, we're in the process of,
22 again, working with OE. We came up with an

1 INTEGRATE Project. We're looking at
2 characterizing and communicating. We're coming up
3 with communications protocols and trying to manage
4 distributed assets at our new Energy Systems
5 Integration Facility, which just opened in
6 September 2013. And trying to figure out how we
7 can follow up that solicitation in 2015 with sort
8 of a 2.0 where we basically hopefully working with
9 other utilities to understand that effort better.

10 So I think also we could be looking at,
11 based on some of the efforts that we have,
12 developing some key reference documents around
13 systems and controls from the EERE perspective.
14 You know, there's a lot of interest from behind
15 the meter storage on distributed energy, and that
16 should say "behind the meter storage." So in
17 terms of trying to really understand what should
18 we be looking at in terms of behind the meter
19 storage because we have a number of different
20 offices that are interested in that. And trying
21 to work with the Office of Electricity to better
22 understand our modeling efforts. We have a number

1 of people using different models for doing
2 different things. Let's try to understand, like,
3 what models we should be using for what specific
4 things so we can actually be working together
5 across our offices, both OE and within EERE.

6 So this is just a picture of our Energy
7 Systems Integration Facility. Again, I mentioned
8 that it was opened last year in September by the
9 Secretary. It's a great opportunity. We're
10 trying to do some of our integrated work there
11 trying to show how you can basically work both
12 with buildings, technologies, and distributed
13 generation technologies in an integrated fashion
14 within the building and actually demonstrate how
15 they could integrate it with virtual distribution
16 systems without necessarily putting all these
17 technologies on the distribution system, but
18 allowing regulators and others to see what the
19 impacts of putting some of this stuff in a power
20 hardware in the loop fashion so you can actually
21 see what the impacts would be in this virtual
22 environment instead of a step before actually

1 putting it out in the field.

2 So we feel like this is a really nice
3 facility. This is National Renewable Energy
4 Laboratory in Golden, Colorado. We feel like it's
5 just getting started. We're just getting some
6 projected started going just this year, and we're
7 going to follow up with that in the following
8 year.

9 But I didn't want to take up too much
10 time here. I know there's only a few minutes, but
11 I'd be happy to take questions if there's time for
12 that.

13 CHAIRMAN COWART: Yes.

14 MS. HOFFMAN: I guess I just want to
15 follow up on a couple of things. Number one --
16 you know, I have to have this closer or they yell
17 at me. Lesson learned, have it closer or, yes,
18 you get the look.

19 First of all, I'd like to thank Kevin
20 for being here and want to let everybody know
21 within the Department of Energy we are really
22 pushing very hard on coordination and coordination

1 of our activity and such that we've been doing
2 joint budget presentations to the Hill. Also just
3 really talking from a holistic view of where the
4 Department is heading and some of the different
5 needs across the whole landscape. And that'll
6 continue to feed in, of course, to the QER
7 presentation.

8 So just a couple of other things. The
9 Grid Tech Team did do a National Laboratory
10 Capability Summit, I think back in May 2013,
11 around May 2013. And what we're continuing to
12 look at and evaluate is what capabilities should
13 we continue to invest in with respect to the
14 National Labs? How do we structure the labs to
15 provide the best value and partnership with
16 industry? So that's something that we want to
17 continue to address.

18 We're also looking and utilizing the
19 National Academy of Sciences to do advance grid
20 modeling activities for us and looking at the
21 foundations around mathematics and computational
22 capabilities with respect to advance grid

1 modeling. So those are some of the other things
2 that feed into the picture. But we're moving
3 forward, and it's been a good discussion within
4 the building, but definitely a lot of
5 opportunities.

6 CHAIRMAN COWART: All right. So the
7 veterans here already know the drill in terms of
8 putting their tent cards up. And I try to call on
9 people in order when I can figure it out. You all
10 were really fast. I'll figure it out. Granger
11 was first? So, Granger.

12 MR. MORGAN: Yeah, I was waving mine
13 because you weren't looking this way. Kevin, to
14 what extent are you limited to analysis on the
15 technical side of integration of things for
16 distribution systems, or are you doing some
17 analysis of policy-related issues or regulatory
18 issues? I mean, for example, most U.S. states
19 have exclusive service territories that make it
20 really hard for anybody but a traditional utility
21 to run a micro grid. And yet, you know, that's an
22 integral part of the sort of things you were

1 talking about.

2 MR. LYNN: So that's a great question.
3 You know, I did mention I think on the bottom of
4 one of these slides, and I won't go back to it,
5 that we're definitely interested in market's
6 policies and some of the business model aspects.
7 You know, from the EERE's perspective this is very
8 important, but it's important across the
9 Department. EPSA is a relatively new organization
10 within the Department of Energy that takes a lead
11 on most of these issues. But we also work
12 together very closely with them with the Office of
13 Electricity as well.

14 You know, very recently we had a
15 solicitation come out of the Solar Program called
16 Solar Pathways, and I know this doesn't go
17 straight to your micro grid question. But as you
18 know, there's been a lot of issues around net
19 metering. Net metering is being questioned and
20 whether or not that is the right path to go. And
21 one of those solicitations that was reviewed by
22 the Office of Electricity came out just recently

1 to look at sort of that cost and benefit analysis
2 for distributed generation on a regional basis.

3 Basically that's been opened and closed,
4 and they're doing some reviews of that right now.
5 But obviously it's very important for all of the
6 offices within the Department of Energy.

7 CHAIRMAN COWART: Merwin?

8 MR. BROWN: Kevin, as Chairman of the
9 Energy Storage Subcommittee, this year we're
10 working on a biannual summary report review of
11 energy storage done at DoE. And in the past I
12 don't think we've included EERE, and we're talking
13 about doing that this year. What would be your
14 recommendation of how to approach your office in
15 that area?

16 MR. LYNN: Yes. I think I've been on
17 one of the calls. I won't say that I've
18 definitely been a regular on the calls, but it's
19 hard to be. There's so much good stuff going on,
20 but it's hard to be a part of it all the time.

21 I think, you know, from our perspective
22 obviously we're kind of focused on a specific area

1 behind the meter storage. There's a lot of
2 interest in that, you know, especially on the
3 solar side, but also from the buildings
4 perspective. You know, I think even though this
5 has been done a number of times, you know, looking
6 at storage in a variety of different perspectives.
7 But I think, you know, we would really like to
8 come up with some kind of reference document that
9 I mentioned above.

10 So before we actually go and do any kind
11 of investment, we've kind of characterized the
12 field as it stands both from an electrochemical
13 perspective and thermal perspective. And we have
14 a few other technologies like CSPE and pump
15 storage hydro that are special to EERE.

16 But, yes, I think, you know, working
17 with you all in the best way, I think that would
18 be wonderful. I think one of the things we'd like
19 to sort of target is we've tentatively targeted a
20 workshop maybe toward the end of this Fiscal Year,
21 so in September, so we can get all our ducks in a
22 row. But I think it would be great just to talk

1 with your committee and make sure that we know all
2 the work that you've done before we start down
3 another path.

4 MR. BROWN: So you would be the contact?

5 MR. LYNN: Yes.

6 MR. BROWN: Okay, thank you.

7 CHAIRMAN COWART: I'm going to work up
8 this side and then go to Carl and Paul. Michael?

9 MR. HEYECK: I'm Mike Heyeck. A very
10 good presentation. Let me just state the obvious.
11 You know the dumbest part of the grid, the black
12 rotary phone, is distribution. And as distributed
13 resources make distribution lines much more
14 volatile, you have that problem to regulate and
15 working with the industry on that would be great.

16 On the other side of that,
17 interconnection standards, such that, you know,
18 when a pump comes on, all that stuff doesn't drop
19 off and creates greater volatility. Working
20 through IEEE and some other standards to actually
21 get inside that industry paradigm so that these
22 changes can be made.

1 MR. LYNN: Yes. The interconnection one
2 is very interesting. You know, it always makes me
3 laugh when people say, oh, it's so crazy that all
4 this distributed generation falls off and, you
5 know, we spent -- not myself -- but for four years
6 I think OE worked and a number of people worked on
7 interconnection standard for 1547, and that was
8 exactly what they wanted. And now we've come to
9 the point where it's like, hey, now we've got a
10 lot of stuff. Now, what are we going to do?

11 So I went to one of the 1547 meetings I
12 think last year, and even there it was difficult
13 with a lot of what I would say that people have
14 been there for a while, like, hey, do we really
15 want things to stay online? Do we really want
16 them to provide voltage support? Those were still
17 some kind of crazy things to some of the people on
18 the Standards Board.

19 But I think we're getting there, and as
20 you know, standards take a while to change. But I
21 believe we're moving in the right direction on
22 that.

1 MR. HEYECK: Just one follow-up comment.
2 Any time someone says "interconnection standards,"
3 there's the political element barrier to entry and
4 whatever. I really think we need to approach it
5 from the technical side in order to get it
6 ingrained in the industry and in the vendors that
7 provide it. Thank you.

8 CHAIRMAN COWART: Paul?

9 MR. HUDSON: Kevin, John Adams is
10 embedded in Pat's group back over there, and Jay
11 was with us last year. I wonder what type of
12 formal process there is for the organized markets
13 to funnel information. They're seeing a lot of
14 this stuff in real time in terms of the
15 integration. And I'm ignorant as to the processes
16 they have for providing information to DoE. I'm
17 curious about that.

18 MR. LYNN: That is a great question. I
19 wish there was a more formal process to get
20 information. I mean, we have requests for
21 information that we put out. We do have workshops
22 that we put out especially with the net metering

1 issue. I mean, there's so much stuff that's going
2 on in terms of the markets. I mean, it would be
3 hard for anybody to go out and sort of
4 comprehensively go out and understand what's
5 happening in Minnesota, and California, and
6 Arizona, and all these different places.

7 We do do our best to try to get all that
8 information, but I'd be open to any kind of
9 suggestions that anyone has.

10 MR. HUDSON: I mean, just a follow-on
11 comment to that, my experience with ERCOT at least
12 is that they tend to be a little resource
13 strapped, and if they don't have to comment on
14 something, they may not. So something to think
15 about.

16 CHAIRMAN COWART: Carl?

17 MR. ZICHELLA: Actually my question is
18 similar to Paul's. It seems like there's a lot of
19 experience right now in integrating renewable
20 energy resources and ever-growing amounts in the
21 organized markets in particular, but also in parts
22 of the country right now. RAP just did a report

1 recently that looked at sort of an overview of
2 some of the integration studies.

3 It might be a good thing to think about
4 having an ongoing update, too, as we get more
5 experience. And we'll hear in our panel
6 discussions later today what people are doing with
7 regard to forecasting and other sorts of things
8 that were part of the Grid Tech Team's
9 recommendations, and, frankly, everyone's.

10 There seems to be a very clear list of
11 things that are needed now for integrating large
12 amounts of variable generation, and more of a need
13 to really track on how well and reliably we do
14 that, especially in light of Water 111D being
15 implemented right now. WEC just announced an
16 effort last week to start doing, if requested,
17 reliability analyses for some of the state
18 compliance plans.

19 I was at the WGA last week. There was a
20 lot of talk about regional solutions to
21 compliance. There's a great opportunity right now
22 to sort of collect and synthesize and experience

1 what's working. And I think the Grid Tech Team
2 has just done a fantastic job of identifying the
3 right list of things. And our Subcommittee on the
4 21st Century Grid and the paper that we're working
5 on, we're sort of absorbing a lot of that previous
6 work that you all have done, and it's pretty
7 outstanding.

8 But it seems to me right now there's
9 technology. There is a policy markets,
10 operations, and standards. And one thing when I
11 heard you talking earlier, Kevin, it really sort
12 of concerned me a little bit was that's in a
13 different part of DoE, and sometimes we talk about
14 the stuff. I think we want to have some
15 coordination between and among the parts of DoE
16 that are looking at different aspects of this as
17 we pull it together.

18 I know that it's hard enough to keep the
19 eye on the ball on things you're supposed to be
20 doing in your own group. But this is really sort
21 of an overarching need that we have, and we need
22 to get all the parts together on it. And I think

1 we struggled with our group in trying to decide
2 whether or not to recommend things that were
3 policy or technology. How do you pull those
4 pieces together? Personally I think you need to
5 put them all on the table at once.

6 MR. LYNN: I'll speak for my own
7 personal experience at least. You know, when
8 people talk about policy or they talk about, you
9 know, taking all the information that's been put
10 together and sharing it with regions or different
11 folks, a lot of times some of the people that are,
12 you know -- there's a lot of interest in doing the
13 next new thing, right? But there's been a lot of
14 things that have been done that are really
15 interesting and good, and getting that information
16 out to people in a good or smart way.

17 Everybody recognizes it, but sometimes
18 it's a little bit harder to fund because it's,
19 like, it seems like it's just old work and you're
20 just going out and telling a bunch of people. It
21 would be helpful for, like, folks in this group if
22 you feel like taking information that's been done

1 through some of these studies that we've done and
2 sort of compiling it and doing workshops around
3 that, if that's something of interest or you think
4 that that is useful to, like, let people know,
5 like Pat or, like, you know, my boss, Dr.
6 Danielson.

7 Sometimes I've struggled a little bit.
8 I don't know about you all's group within OE, but,
9 like, within our group0, trying to make sure that
10 we get all those lessons learned out in the best
11 way possible is not always the next thing. I know
12 that doesn't necessarily answer all the questions
13 that you had.

14 But the other things was I would want to
15 say in terms of the flexibility, and David and I
16 have talked about this a good bit, in terms of
17 regional flexibility analysis, trying to
18 determine, like, what's the low-cost way to get
19 flexibility on your system from a regional
20 perspective. That's something that I'm excited
21 about, and I hope people are excited about here as
22 well. And if you are, it would be great to figure

1 out what's the best way to implement something
2 like that.

3 CHAIRMAN COWART: So thanks for the
4 presentation. There's lots of good stuff in
5 there. One of the things that I wanted to raise
6 was if you look at what's going on in some of the
7 states today, and I'm thinking particularly New
8 York, which I'm assuming you're following in all
9 of this, is really beginning to push the envelope
10 in a number of ways. And so, it's not anymore as
11 though we have markets up here and we have devices
12 down in here in a layer.

13 You know, we're looking at something
14 that will require an integrated market design, an
15 integrated information architecture, and an
16 integrated control architecture, because they're
17 talking about markets at a distribution level.
18 And I'm wondering, you know, how that is shaping
19 your thinking and how you see that going forward
20 in being able to support those kinds of, you know,
21 regulatory initiatives as well as the comparable
22 things that are going on in California and

1 starting in other parts of the country.

2 MR. LYNN: Yes. It's interesting trying
3 to draw and create a visual of something that's so
4 integrated, right? So you break it into parts,
5 but then, of course, you want to put it all back
6 together in the same breath.

7 But I think, you know, in a short
8 presentation, everybody at DoE understands the
9 importance of being able to look across those
10 layers that we have laid out. And a million
11 different organizations look at the different
12 layering systems. But we definitely reflect your
13 comments looking across those layers as a key.

14 CHAIRMAN COWART: Chris?

15 MR. SHELTON: I think my comment and
16 questions build on what Paul was just, I think,
17 mentioning. And by the way, I appreciate the
18 presentation. I really like the way that you've
19 sort of stratified the different levels and that
20 type of thinking. I'm encouraged to see that.

21 So have we thought about the regulatory
22 environment and its variability across the U.S. to

1 be driving constraint as sort of a design input,
2 where if we're thinking about the control layers
3 or the information layers? I think, you know,
4 similar to what Paul was saying, if we want a
5 standard and we would like industry to coalesce
6 around certain standards, informing those
7 standards with the constraint of the regulatory
8 variability that we have seems to be critical to
9 the job.

10 It's an incredibly difficult job, but
11 one, I think, you know, we should try to
12 accomplish in these programs. But have you
13 thought about it that way as a driving constraint
14 so it becomes part of the scope as a constraint,
15 not something that you're trying to change or
16 influence, and perhaps in so doing, you may
17 inadvertently influence different policy outcomes,
18 but it wouldn't be the actual intention.

19 And then, also one additional question
20 related to that. Have you thought about where you
21 could have dividing lines in technology so that
22 the meta information, that the information layers

1 could start to move forward and so we could start
2 to get momentum around those. Anyone can adopt
3 them in any regulatory environment around the
4 country, and so we can start to get some movement.

5 MR. LYNN: So regulatory environment as
6 a constraint. I guess I hadn't quite put it like
7 that, but I think we definitely see a regional
8 analysis. There's a national perspective, but all
9 the different regions around the country are going
10 to have different perspectives and different
11 regulatory constraints, if you want to call it
12 that. And I didn't really go into some of the
13 things that we've developed recently on the Grid
14 Tech Team, but trying to both develop something
15 that's core that everybody can use from some
16 perspective, and then it can be applied from that
17 regional, however you want to say it, constraint
18 or otherwise, is I think a kind of a core thing
19 that we've been struggling and trying to find.
20 It's like how do we do this right?

21 We know even when you look back, and
22 David and I always talked about this. If you look

1 at that necklace diagram, we had eight different
2 attributes. Some of those attributes also can be
3 not necessarily constraints, but certain parts of
4 the country may say, hey, resiliency is more
5 important to me than, say, clean, or reliability,
6 or affordability. And trying to tailor that set
7 of attributes more toward a region also is
8 something that we find. We have to develop a
9 program where applies everything applies to
10 everybody and then tailor it and let those regions
11 use it the way that they see is best for them.

12 On the second piece, you know, in terms
13 of standardization, within the Buildings Programs
14 as an example, we have a great standardization
15 effort where they look at, you know, doing
16 building standards, load standards, and other
17 things. There are some possibilities that we
18 might be able to look at something similar on the
19 grid side for something like that as well where
20 you could have something national where these kind
21 of standards could apply across the country.

22 Obviously DoE has got some limitations

1 around that, but there are things we can
2 definitely do in that area.

3 CHAIRMAN COWART: Marilyn?

4 MS. BROWN: Following up on Granger
5 Morgan's comment, and he's conveniently left his
6 spot, but anyway, on energy policy, I'm wondering
7 if there is a place within the Department of
8 Energy, either EERE, Electricity, or EPSA, that is
9 looking at some of those electricity policies that
10 are so important to making distributed resources
11 and demand resources a part of the solution.

12 We've seen a lot of work to date on the
13 coupling, but there's an emerging debate raging
14 about electricity price design and how to manage
15 incorporation of a lot of distributed resources
16 for which the utility companies don't receive any
17 return on their fixed costs. So movement towards,
18 say, discussions of straight fixed variable price
19 design. And their implications of that for
20 efficiency doesn't give us much of an incentive to
21 the consumer to watch demand because they're
22 paying mostly now for fixed costs.

1 So is there an analysis effort looking
2 at all how all of that might play out in an either
3 receptive or promising or otherwise difficult
4 mode? Yes.

5 MR. LYNN: Rosy scenario, right? Yes.
6 So David and I also have been working, well,
7 relatively recently on sort of the costs and
8 benefits of distributed resources. So focusing
9 mainly on solar right now because it's sort of the
10 big player in the room. But we want to look at
11 all the distributed assets with our electric
12 vehicles, you know, really trying to understand
13 what are the costs to the system, so if there are
14 fixed costs, like you mentioned, but are there
15 values to those systems and, you know, how do you
16 determine what those values are in a transparent
17 way that everybody can look at and at least maybe
18 not necessarily agree to, but they can say, here's
19 how we've laid out what the costs and benefits of
20 these distributed assets are.

21 And you can as a regulator, as a
22 stakeholder in the process, you can take those

1 transparent inputs and use them as you see fit.
2 But at least everybody can sort of lay it out on
3 the table and understand, okay, well, this is
4 definitely a cost, you know, and maybe you can
5 look at it from a different perspective, because
6 there are a million different perspectives that
7 regulators and others are going to come to the
8 table with.

9 But that's something that's sort of in
10 the near term that we've been working on, and I
11 think the solar pathways solicitation I mentioned
12 does point to that. But we are trying to sort of
13 move that ball forward slowly but surely.

14 MS. BROWN: Are you linking value of
15 solar or renewables or demand side to rate design
16 and what the consequences are?

17 MR. LYNN: Yeah. You know, personally
18 I'm always a little hesitant to say and that means
19 that your rate design should be X. But I think
20 it's nice to be able to say what the values and
21 costs are, and then people can apply rate design
22 to that in a transparent way.

1 People will value things. It's up to
2 people, the regulators and others, to actually put
3 the rate or the costs that they see fit. But I
4 think it is wise for DoE to be able to at least
5 look across the Nation and provide sort of that
6 technical assistance to show in different regions
7 of the country and different areas and different
8 situations what those costs and values might look
9 like.

10 MR. MEYER: David Meyer. I appreciate
11 the interest that people have expressed in the
12 policy or institutional aspects of good
13 modernization or accommodating new technologies.
14 But Karen Wayland from EPSA will be here shortly
15 to report on the QER, but it's important to
16 understand that EPSA is the policy office within
17 DoE reporting to the Secretary. And they're a new
18 office, and their number one assignment right now
19 is the Quadrennial Energy Review. But looking
20 ahead, they will be very much involved in analysis
21 of some of these questions related to business
22 models, and valuation of emerging technologies,

1 and rate design issues. I know they are keenly
2 interested in those.

3 I'll go back to the theme about the
4 Secretary's insistence on offices working
5 together, taking a very holistic view of things.
6 So I expect that particularly post-QER we will be
7 getting deeper into some of these issues working
8 collectively -- OE, and EERE, and EPSA, and other
9 parts of the Department as well.

10 MR. SLOAN: Tom Sloan, Kansas. And,
11 David, I appreciate your comments. Something that
12 you both know, you know, when you're putting out
13 RFPs or information, most public utility
14 commissions have staff that (inaudible) most
15 utilities and RTOISOs do. Most legislators at the
16 state level who define the criteria and the
17 process that our commissions will use when setting
18 rates or looking at things don't. We don't have a
19 permanent staff, and most of us either are old and
20 senile or have other jobs to maintain their
21 families.

22 So as you're looking at this, and it's

1 something that Pat and David have heard me talking
2 about before, keep in mind how you might best
3 reach people like me or people more capable than
4 me, because we're going to set the rules that our
5 states will use. And that interaction between us
6 and you is terribly important. Thank you.

7 CHAIRMAN COWART: Thanks, Tom. A really
8 good point. Paul?

9 MR. CENTOLELLA: Paul Centolella. I just
10 wanted to follow up on the conversation that
11 Marilyn and Kevin had a moment ago. And, Kevin,
12 you talked about transparent values for PV in a
13 distributed sense. I think that, I guess,
14 concerns me slightly in the sense that when I look
15 at that where the value of PV varies tremendously
16 depending on where it is on a grid, what it's
17 displacing, how much of it there is on any
18 particular feeder, et cetera.

19 I would hope that the Department would
20 work closely on tools and models that would help
21 regulators and utilities to figure out what the
22 value is in their particular settings for their

1 particular installations rather than, you know,
2 aiming towards a value or even a value or a state
3 for a particular thing.

4 And so, I just hope that that's where
5 you're headed, and I just wanted to clarify.

6 MR. LYNN: Definitely. I mean, yeah. I
7 mean, everything you just said is really
8 important: Developing tools, where you put it,
9 what region of the country you put it in. But
10 that's all right in line with what we're trying to
11 develop.

12 MR. CENTOLELLA: Okay.

13 MR. MEYER: For us, one of the most
14 important things here is to not be prescriptive --
15 David Meyer, Office of Electricity. When you
16 think about the valuation question, we think about
17 it in terms of trying to come up with or help the
18 community, as it were, come up with analytic
19 conventions for how to do this kind of valuation
20 analysis. But we are not going to be in any way
21 prescriptive about what we think the end results
22 ought to be. We recognize that other people have

1 those responsibilities.

2 CHAIRMAN COWART: In addition, I take it
3 that you're also saying, by agreeing with Paul's
4 point, that even within a jurisdiction, even when
5 there are values to be determined, that the
6 Department will be pointing out that those values
7 may vary from feeder to feeder or substation to
8 substation.

9 MR. MEYER: Right.

10 CHAIRMAN COWART: Okay. Thank you.
11 Mike?

12 MR. HEYECK: I'm a simple guy. I just
13 wanted to -- this is Mike Heyeck. I'd like to
14 bring back the point that if you think about the
15 institutional roles, not just regulators, but the
16 commercial sector that could develop. Right now
17 if you need a hot water heater, you call a
18 plumber. If you need HVAC, you called a HVAC
19 specialist. If someone has puts in PV power,
20 who's going to do that? Is it an electrician?
21 Somebody is going to coalesce this into something
22 commercial that would provide some value with

1 respect to efficiency.

2 And as we think about institutional
3 pricing, it's not a regulator, but it's also
4 enabling that commercial sector to package this
5 because I do believe right now institutionally
6 we're so fragmented and siloed that we could
7 really coalesce into something in energy packaging
8 rather than just putting in your hot water heater.

9 So I'd just encourage you to step back
10 and look at the simple paradigms as we look at the
11 esoteric.

12 MR. LYNN: Yes. I know that's been a
13 factor for a lot of us. But, I mean, just like on
14 the solar side, I know trying to sell live voltage
15 support, you know, you have all these capabilities
16 that, you know. You have this list of
17 capabilities of things that you can do, but the
18 question is who cares? Everyone wants to buy it,
19 and so they all kind of go together in that, and I
20 hear that all the time from those folks. So we
21 have to figure that out. We have to work together
22 on that.

1 CHAIRMAN COWART: Wanda?

2 MS. REDER: Yes. Good presentation. I
3 was encouraged about NREL in the virtual lab. And
4 following up a bit on Mike's comment where there's
5 a lot of institutional practices and paradigms.
6 And I think, you know, as we go through the grid,
7 you know, the INTEGRATION initiative, it really
8 challenges us on a lot of fronts. It doesn't
9 matter if it's policy, technology, workforce
10 development.

11 Can you comment a little bit about how
12 the National Lab strategy might be used to help
13 move the paradigms and kind of our traditional
14 norms in order to get to this vision?

15 MR. LYNN: Sure. So I think right now
16 the National Labs are doing a pretty good job
17 working with some stakeholders across the country.
18 There's a lot of expertise in the National Labs.
19 There's a lot of National Labs that sort of have
20 some similar kinds of capabilities.

21 So right now, I think a couple of things
22 we'd like to do. One is, as Pat had mentioned,

1 last year we had asked all the labs to come
2 together and say, hey, tell us what your grid
3 capabilities are. What is it that you do at LBNL?
4 What is it that you do at NREL? What do you at
5 PNNL? What are those capabilities?

6 I think one of the things we want to be
7 able to make sure that we know and can sort of
8 characterize what some of their specialties are.
9 I think another piece is we know who to go as
10 opposed to, like, well, having a bunch of people
11 develop very similar kinds of activities.

12 And, two, I think we'd like to have sort
13 of a one- stop-shop for people like you and people
14 like in this room. So instead of going to, you
15 know, this lab and that lab to do kind of the same
16 thing, you could go to one lab and sort of see the
17 entire space within the laboratory space and be
18 able to understand here's the whole host of
19 capabilities that we have as a lab. And because
20 you're really interested in power flow control,
21 you can go to X lab because that's really what
22 they do best, and you can talk to them.

1 But I think at the same time, there's an
2 aspect not only of what their expertise is, but
3 also just having them there, you know, reaching
4 out regionally. And most of the people, you know,
5 if you're in California, you know the labs that
6 are in California. If you're in Colorado, XCEL
7 knows NREL really well.

8 So being able to still contact them and
9 have points of contact with the people that you
10 see and know pretty well, but at the same time
11 sort of have this integrated approach where you're
12 getting the best and brightest from across all the
13 lab complexes as opposed to just the people that
14 maybe you see more often than not.

15 We're working actually quite a bit more
16 detail on that, but that's sort of the broad
17 perspective, I think.

18 CHAIRMAN COWART: Obviously this topic
19 is of great interest to the committee. We're
20 going to take a break now. But I would like to
21 close this session by renewing the statement I
22 made earlier, which is we're really glad to see

1 EERE in the room. And this conversation I think
2 makes it plain to you that we understand that
3 connecting across the two offices is extremely
4 important. So thanks very much.

5 MR. LYNN: Yes, thanks for having me.
6 Some other offices are going to be here, and
7 having some other offices here I think is great.
8 So thank you.

9 CHAIRMAN COWART: Thank you very much.
10 We're taking a break until 2:20.

11 (Recess)

12 CHAIRMAN COWART: Please take your
13 seats. I think I've got a new plan for our next
14 meeting, which is that about 15 minutes before our
15 break, we go tell the café that we're going to
16 have a peak demand situation on the coffee.

17 Just before we begin the afternoon
18 session, I noticed there are two people here who
19 did not introduce themselves when we first went
20 around the room. So, Clark?

21 MR. GELLINGS: I'm Clark Gellings, and
22 I'm a fellow with the Electric Power Research

1 Institute.

2 MR. BROWN: Roy?

3 MR. THILLY: Roy Thilly. I guess
4 independent. I serve on the NERC Board of
5 Trustees.

6 CHAIRMAN COWART: Thanks very much. Did
7 I miss anybody else?

8 (No response.)

9 CHAIRMAN COWART: All right. Thanks.
10 So our next topic is discussion of the QER. And I
11 notice that our announced speaker is not here, but
12 instead we have able substitutes, Carl Pechman and
13 Larry Mansueti from the EPSA. So I'm just going
14 to turn it over to you two, and lead us through
15 it, please.

16 MR. MANSUETI: Thanks, Rich. For those
17 who don't know me, I'm Larry Mansueti. I'm from
18 the Office of Electricity, Pat's shop. I'm
19 detailed for about, I guess, a year to the EPSA,
20 Energy Policy Systems Analysis Office, to help on
21 the QER, particularly help with all the different
22 public meetings. Geez, I think there's something

1 like 15 of them that are on their way between now
2 and September-ish or so.

3 And I'm here to give you an update.
4 Also Carl Pechman, I'm going to reserve half my
5 time slot for him. He's also from QER Office
6 team. He's the number two electricity person,
7 part of the QER, and he actually some specific
8 things he wants to talk to you about and actually
9 ask for help on.

10 So with that, I'm going to give you an
11 update. I think Karen Wayland, who unfortunately
12 had an emergency with her pet, her dog, obviously
13 sends regrets on not being here. And so, I just
14 got the call about an hour ago, but luckily I have
15 her talking points, so that always helps when
16 you're substituting for someone.

17 Just to recap, the Quadrennial Energy
18 Review of the Administration is this time -- this
19 time meaning there will be future Quadrennial
20 Energy Reviews done on an annual basis. This one
21 is looking at the transmission, storage, and
22 distribution of all forms of energy. That means

1 no generation or production and un-use. Those are
2 our scope out of this particular this one. Those
3 will be handled in future years in an order to be
4 determined.

5 We've had three meetings so far, public
6 input meetings, I should say. April 11th was one
7 on the vulnerabilities of the entire energy
8 infrastructure system, again, transmission and
9 distribution of all forms of energy. For example,
10 we had Jerry Colley representing NERC there
11 speaking, and Joe Rigby from PHR, the local
12 holding company, utility, was there describing
13 some of their activities in that area. We also
14 had a CL from a coop, G&T Arkansas Electric
15 Cooperative speaking there.

16 Infrastructure constraints, that was in
17 New England, two places at once in one day. In
18 the morning it was in Providence, and then, since
19 you're in New England you can get to one place
20 pretty quickly. We were in Hartford in the
21 afternoon.

22 Infrastructure constraints, the main one

1 is gas and electric obviously, though there were
2 some problems during the polar vortex with coal
3 deliveries and oil and barge deliveries and so
4 forth. And the Gulf Coast, petroleum,
5 transmission storage and distribution. That was
6 held in New Orleans on May 27th. Our Energy
7 Secretary chaired all three meetings.

8 This Thursday in San Francisco is a
9 public input meeting on the energy and water
10 nexus. John Holdrum of the White House's Office
11 of Science and Technology and Policy will chair
12 that one. Transcripts of all these meetings as
13 well as links for those meetings for the video
14 links that we've been able to do, the statements
15 of all the panelists, and summaries of the
16 meetings can be found on the QER website, which is
17 energy.gov/QER. And for each meeting, we do have
18 a briefing memo, background memo, that may or may
19 not be of interest to you. And it includes at the
20 end of it some key questions, and challenges, and
21 opportunities that we think are out there and also
22 form the basis of some of the panel discussions as

1 well.

2 Upcoming meetings you may be interested
3 in. We have two electricity-focused hearings, one
4 Eastern Interconnection, one Western
5 Interconnection. The one in the east will be in
6 New Jersey. There's no date on that one yet.
7 July 11th is one in Portland, Oregon handling the
8 Western issues.

9 There is one in Wyoming for
10 infrastructure siting. Again, infrastructure --
11 oil, gas, all kinds of energy, electricity
12 transmission obviously. Gas, electric energy
13 independence in Denver, rural electricity issues
14 in Iowa, and finance and marketing incentives in
15 New York City. There are others as well as gas
16 TS&D. None of these have any dates yet, but, you
17 know, subject to scheduling of or Secretary or
18 other officials, then we do announce states.

19 A couple of things that have happened at
20 these meetings that we have heard from I want go
21 over before I turn it over to Carl. Some of these
22 things probably are not that surprising. In the

1 scheme of things, what we've been hearing about,
2 at least in the electricity business, is that
3 utilities still do a good job of providing
4 high-quality and reliable service. They are
5 deploying technologies as they can and updating
6 their facilities.

7 We saw -- actually this a shot out to
8 Pat Hoffman -- at the Vulnerabilities Meeting, the
9 utility industry themselves was very effusive
10 about the Administration and DoE's role in Sandy
11 recovery. So they really liked that work. And
12 there seemed to be a coalescing of working
13 together between government and industry in
14 disaster recovery, resiliency, and so forth.

15 Writ large, you heard in each of those
16 first three first meetings, there are issues
17 arising, as you can expect, from the changing
18 resource mix we have in this country, whether we
19 have an oil and gas boom or changes in generation,
20 you know, electricity, that are looming or already
21 have occurred, and the challenges, whether it's
22 reliability, costs, environment that are occurring

1 from that.

2 In these particular meetings, we haven't
3 touched on the major electricity subjects so far.
4 So we did hear a lot about redundancy and
5 cybersecurity, physical security. That was a lot
6 of the subject of the first one. Let's see. What
7 else came up?

8 Oh, one thing with New England, New
9 England, as you probably know, has had issues with
10 gas/electric energy dependency for a number of
11 years. We did hear and see the region starting to
12 get their arms together around the issue, starting
13 to come together not just from a technical
14 standpoint, but from a political standpoint on
15 coming up with some solutions to fix their issues.

16 During the New Orleans meeting, we did
17 hear that was petroleum TS&D. We did hear a port
18 official noting the importance of electricity
19 infrastructure and how he feels that's a weakness
20 that could be improved in the port system. And
21 then a pipeline executive. I think it was
22 Colonial Pipeline that ships product up here along

1 the East Coast, noting his view that the biggest
2 exposure through reliable operation of his
3 pipeline is electricity. And so, many of them
4 were talking about the need to harden the electric
5 infrastructure, not just along the various
6 pipelines that come out of the Gulf, but also
7 right down there were all the petroleum processing
8 and pipelines are at.

9 One item that we're struggling with --
10 we think some of the answers are within us -- is
11 we'd like to have more stakeholders, more input
12 physically at these hearings after we have these
13 panelists talk -- "talk" means a couple minutes of
14 opening remarks and then panel discussions. We're
15 not getting that many folks coming up to the
16 microphone to give public comments. We'd like to
17 get more.

18 We do know that part of it is we often
19 were jammed with having meetings scheduled at the
20 last minute, so we didn't get our agendas up on
21 our website until maybe three or four days
22 beforehand. So how do you know if you want to go

1 if you don't what the agenda is? But we're trying
2 to improve that, and now we're getting more
3 advanced notice on our meetings.

4 So with that, how about if we have any
5 questions we hold off until Carl talks? Carl?

6 MR. PECHMAN: Okay. Thank you. I don't
7 think I have to tell this group one of the basic
8 premises of the electric portion of the QER that
9 electricity is really at an inflection point. The
10 industry that we've known in the past is changing
11 rapidly. There are many forces from greenhouse,
12 the need to reduce greenhouse gases, the
13 introduction of renewable energy generation, much
14 of which is intermittent, the increasing
15 transactive role of customers, the digitization of
16 society and of the electric industry, and the
17 requirement to maintain a higher standard of
18 reliability with respect to the electricity,
19 combined with issues of resilience.

20 A lot is changing, a lot will change.
21 We view the transmission and distribution system
22 as the platform over which much of this will

1 change. The platform both in terms of the
2 business models, the market structures, and also
3 the physical nature of the system.

4 The electric portion of the QER will
5 hopefully provide a roadmap from where we are now
6 to some future state. And I'd like to -- and
7 there are many issues. I think I have a list of
8 20 major issues, some of which are physical, and
9 cybersecurity is lumped in as the single issue, or
10 maintaining resilience is a single issue. These
11 are all major. They're huge. They require a lot
12 of input. They require a lot of thinking and
13 thought and analysis.

14 And where we're starting or where we're
15 trying to start is where are we now. What is the
16 state of the system? And as we've looked out,
17 we've had difficulty, in fact, trying to get our
18 hands around what the current state of the system
19 is. EPRI has been very helpful, and we continue
20 to work with them. And as Larry indicated, we're
21 interested in your input as well on ways of
22 thinking about the state of the system as it is

1 now. But not only the state of the system as it
2 is now, but where is it that we're going.

3 So we're in the process of engaging one
4 of the National Labs to create a future grid
5 architecture, not a finalized grid architecture,
6 and certainly not a plan for how each of the
7 different markets are going to operate, but a way
8 of thinking about a framework for thinking about
9 the future so that we can better track our
10 movement from our current state into the future
11 state.

12 And it would be terrific. One of things
13 that you've probably recognized about the QER is
14 that there's a huge amount to do in less time than
15 we would like to have to get it done. And so,
16 this summer is going to be a push huge. We're
17 looking about a 10-week period to have a
18 preliminary grid architecture that we're trying to
19 develop. And we are in that process going to have
20 several public meetings, stakeholders meetings,
21 with the contractor, with the National Lab. And
22 we invite your input in those meetings. And if

1 you let me know or let Larry know of your
2 interest, we'll certainly make sure that you're
3 aware of what's going on.

4 I think it's a very exciting project.
5 We have to keep it focused. We're trying to
6 handle a whole variety of issues from the
7 transactive roles of customers to information
8 protocols, but at a level where we can try to get
9 the policy blend. How is the system going to be
10 paying for itself? How does it support
11 alternative business models? How does it maintain
12 resiliency? Things of that sort. So it's a very
13 challenging and exciting project, just one of many
14 that we're involved in, and look forward to your
15 good thoughts and suggestions and input. And I
16 thank you for your time.

17 So with that, I think we open it up to
18 questions?

19 MR. MANSUETI: Right.

20 CHAIRMAN COWART: Just for starters so
21 you know, I think the members of this committee
22 are extremely interested in providing concrete

1 assistance to the QER, and we'll be better able to
2 do that if we're alerted to specific topics on
3 which the expertise of the members of the
4 committee would be, you know, relevant and could
5 be provided.

6 MR. PECHMAN: We have a working list of
7 issues that I would be happy to share with you.
8 And, you know, to the extent that individuals on
9 this committee are interested in particular
10 issues, I'd be happy to engage and receive their
11 input on those issues.

12 You know, again, it's a balancing act.
13 It's a juggling from here until the completion of
14 this. And so, but we'll do our best to engage you
15 and to bring you into the process and to work with
16 you.

17 CHAIRMAN COWART: All right.

18 MR. PECHMAN: And look forward to it, in
19 fact. I'm very excited about getting to know more
20 of you and having your insights reflected in the
21 report.

22 CHAIRMAN COWART: Right. There are some

1 work products under way within the subcommittees
2 that I think would be of significant interest to
3 your team. And we're just looking for the right
4 way to open the door and hand in those ideas.

5 MR. PECHMAN: Well, we can talk about
6 that, you know, and again, we're very excited to
7 have your input.

8 CHAIRMAN COWART: All right. Thanks
9 very much. I already see some cards up. I'll
10 start this time on that side. Carl?

11 MR. ZICHELLA: Thank you, Carl. One of
12 the things, bouncing off what was just said by
13 Richard -- Carl to Carl -- one of our products is
14 recommendations for a 21st century grid,
15 modernizing and updating the grid. Obviously
16 exactly the same framework that we're talking
17 about in the QER. We produced an outline of that.
18 I'm pleased to hear much of what you said is
19 reflected in that outline.

20 But one of the things we'd like to do to
21 kick off this very welcome collaboration that
22 you've just offered is to share that with you and

1 get some feedback to see if we're overlooking
2 things that we ought to be considering as part of
3 that, or if maybe we're seeding some things in our
4 paper that you have not added to your list of 20
5 or more issues.

6 So I just wanted to make you aware of
7 that.

8 MR. PECHMAN: That would be terrific.
9 Yes, great.

10 MR. ZICHELLA: It's just an outline at
11 this point. We're drafting portions of it right
12 now. In fact, after this meeting we have a panel
13 following yours that's sort of kicking off our
14 drafting process. We're hoping to be able to pull
15 all this together in time for our September-ish
16 timeline.

17 MR. PECHMAN: I've love to be able to
18 stay for that.

19 MR. ZICHELLA: Great. Thank you.

20 CHAIRMAN COWART: Tom?

21 MR. SLOAN: Yes. Just a quick note for
22 the EAC members. You know, a lot of our reports

1 we time to finalize for December. That's well
2 past their deadline. We need to make sure that
3 we're coordinating with their schedules even more
4 importantly than coordinating with ours. Thank
5 you.

6 CHAIRMAN COWART: We had discussed this
7 earlier at the Leadership Committee meeting and
8 came to the conclusion that it would actually
9 probably very helpful to submit the outline and
10 the list of initial thoughts that the
11 subcommittees were working on. It might even be
12 easier for you just to be able to identify the
13 topics that we're paying attention to at an early
14 opportunity so that you could then say, oh, that
15 one is something we're struggling with, and we'd
16 really like to hear more about that.

17 It would help to focus our work, and it
18 would help us to deliver content to you in an
19 abbreviated form without waiting for final papers
20 at the end of the line.

21 MR. MANSUETI: I would think that would
22 be extremely useful just seeing an outline.

1 [Off audio comment.]

2 CHAIRMAN COWART: There you go.

3 MR. PECHMAN: Thank you, Carl. I'll get
4 to work right now.

5 CHAIRMAN COWART: Merwin, Mike, and then
6 Granger.

7 MR. BROWN: Merwin Brown, CIEE. You
8 mentioned something about a National Lab was
9 working on a future architecture for electric
10 grid. Maybe I don't quite understand what this is
11 about, but I know a couple of years ago my team
12 got asked to do something similar. And we very
13 quickly ran into a problem with all of the great
14 uncertainty. We ran into too many Ys in the road,
15 if you will, branches that if this happens, this
16 is the way you go, if this happens, such that we
17 couldn't come up with a sane approach, to come up
18 with an architecture. And instead, took a
19 scenario approach.

20 And I was just curious if you could
21 elaborate on how that's going.

22 MR. PECHMAN: It's going in the

1 statement of work phase and through contracting,
2 so we haven't gotten started. But we'd certainly
3 be very interested in having you looking at what
4 we're doing. And perhaps when Carl Imhof is here
5 tomorrow, you and he can talk about the project.

6 MR. BROWN: I know Carl quite well. We
7 used to work together at PNNL.

8 MR. PECHMAN: Okay.

9 CHAIRMAN COWART: Mike?

10 MR. HEYECK: Mike Heyeck. Just a couple
11 of comments. Number one, actually we do have a
12 library of documents over the last two years. For
13 example, next generation energy management system,
14 the fact that the control points in the grid are
15 increasing by many orders of magnitude, especially
16 now when you get down to distribution where you'll
17 need grid operators at distribution levels. So
18 next generation energy management system.

19 We have grid security. We have a grid
20 resiliency paper. We have intersection of gas and
21 electricity. This is just a transmission sector.
22 There's a huge body of knowledge in the Smart Grid

1 Committee and the Storage Committee. So if that
2 could be put forth for the record for the QER in
3 some form.

4 In the QTR process, I'm just going to
5 give you my frank comments. I as one member was
6 very frustrated because I was the head of the
7 Transmission Committee. I didn't know how to
8 submit anything besides the documents, and they
9 weren't submitted. And then we were invited to a
10 session to provide commentary or remarks,
11 testimony, but none of us could speak for the EAC.
12 We could only speak for ourselves. So it became a
13 very fragmented process by which this committee
14 could talk.

15 And then I would go back to my first
16 comment. If we could get the body of knowledge
17 that was submitted in the last two years of this
18 committee to this QER process, that would be
19 great, and then augment it with the current
20 activities.

21 The last comment I'll make is an old
22 physics professor told me never believe

1 extrapolations. And I'd just encourage you to
2 think about the discontinuities, just think about
3 when I started on this committee, shale gas was
4 not even a party to the puzzle, and we wrote a
5 report called "Keeping the Lights on in a New
6 World." Well, the new world changed in about 12
7 months after that report.

8 So there's other sectors and other
9 industries that actually are going through what
10 we're going through in this industry, and I'd
11 behoove you, recommend to you that you look at
12 other industries, such as the financial sector,
13 such as the cable industry, to see what they're
14 going through and how they package things.

15 Just one example, in the cable industry
16 where the wires are becoming fixed charge, very
17 rudimentary whereas everything else is becoming
18 packaged. And that might not be different than
19 our future.

20 So wide-ranging comments, number one, on
21 process. Number two is just open the mind and
22 look at other sector, and I'm sure you are.

1 MR. PECHMAN: Thank you. We do have
2 issues with respect to the FACA, that we haven't
3 looked into. So, I mean, that's just a legal
4 constraint that we as a Federal agency have to
5 deal with.

6 We're keenly aware of the unknown
7 knowns, and the issue of how to bring those into
8 the processes is obviously very difficult. One of
9 my first projects when I was a staffer at the New
10 York Public Service Commission was reconverting
11 Ravenswood III in New York City from oil back to
12 coal. And it was also the first power plant that
13 I was ever in when I was a high school student in
14 New York City, and remember asking the operators
15 of the plant who were giving us the tour why are
16 you still burning coal. And they said, oh, we
17 just converted to oil.

18 It's a constantly-changing industry.
19 You can't predict where you're going to be, what
20 the role of nuclear is going to be. Everything
21 that we think that we know today is likely going
22 to not come to fruition. Something else will

1 happen. But we still have to make an attempt,
2 look out in the future, see if there are no
3 regrets, strategies that we can adopt, and handle
4 the surprises as gracefully and as successfully as
5 we can.

6 CHAIRMAN COWART: That's such a great
7 phrase, "handling surprises gracefully." It sort
8 of summarizes many of our careers we hope.
9 Granger?

10 MR. MORGAN: So I have two questions
11 that take the form "to what end." I mean, I'm
12 obviously aware of the Quadrennial Energy Review.
13 I actually was one of a handful of folks who got
14 invited in a few years ago to talk to PCAST when
15 they were still trying to figure out what they
16 might do in this space.

17 So starting at the more micro level, you
18 described this model that you're trying to get
19 built of the transmission system. To what end?
20 That is, what sort of things do you plan to be
21 able to do with this tool once you've got it? And
22 then at the higher level, so you go through this

1 entire review, the first round, on energy
2 transport issues. What's likely to come out the
3 other end? I mean, so I understand there'll be a
4 lovely document, and it'll sort of describe the
5 state of the world as it is and where it might go.
6 But to what end? What will then happen?

7 So let's start at the low level stuff
8 with the model of the grid.

9 MR. PECHMAN: And I think you recognize
10 that we're trying to create a conceptual model of
11 the grid and not a model of how it will --

12 MR. MORGAN: Yes, that's fine. I at
13 least have limited ability to imagine what you're
14 going to do with it once you've got it, what other
15 questions you can --

16 MR. PECHMAN: Well, I think the various
17 questions we're going to ask are getting to that
18 end point, what does that tell us about what our
19 next steps in terms of R&D investment policy need
20 to be to move towards that step. Does it support
21 the process, for example, that New York is taking
22 in terms of looking at, and that we're seeing out

1 of the California -- sorry -- the California ISO
2 in terms of different ways of incorporating
3 distribution and talking about the role of
4 distribution and the level of control of
5 distribution.

6 Does it identify needs? If it
7 identifies needs, what do we do to fulfill those
8 needs? Starting here, I can't tell you what the
9 end point is and how we're succeeding because we
10 don't know what we have. I do know that we can
11 look at past energy plans and that we can see, for
12 example, that the earlier energy plans did talk a
13 lot about the need for the retail access, the
14 creation of ISOs and things of that sort. And
15 then that led to Federal legislation that enabled
16 those entities to be created.

17 MR. MORGAN: I guess I'm thick -- sorry.

18 MR. PECHMAN: No, no, I would never say
19 that.

20 MR. MORGAN: Oh, you're welcome to.
21 But, I mean, for example. Can I ask this thing?
22 Should I break up the Eastern interconnect with

1 D.C. back-to-back connections in order to provide
2 more secure or resilient supply, or is it not -- I
3 mean --

4 MR. PECHMAN: We're not going to be able
5 to go that level of detail or even analytically
6 ask that question.

7 MR. MORGAN: Am I the only person around
8 the table who doesn't understand what this thing
9 is going to do because I certainly don't, but I'll
10 stop now.

11 MR. PECHMAN: Well, I think, I mean, the
12 high level is road map to the future, whatever
13 that road map means, but we're not there yet, and
14 we have a lot of work to do in between now and
15 when it's done. And hopefully at the end of it,
16 you'll say, ah, I see at least one thing that I
17 hadn't thought of that might be a good policy or a
18 good investment to pursue. And if that's the
19 case, that will be successful.

20 But I can't predict now to what end
21 because this is a planning document. This is a
22 planning process. And we're soliciting input from

1 experts such as yourselves to help us formulate to
2 what end and to create the end point. So to the
3 extent that you, for example, see a void in
4 transmission and distribution policy and you bring
5 it to us and say, you know, I've been thinking
6 about this issue for 20 years, and I don't
7 understand why X, Y, and Z is not being done. I
8 don't understand this whole issue with micro
9 grids, on who controls the micro grids, whatever
10 the issue is. We can take that, look at that, and
11 then help develop whatever that end is.

12 MR. MORGAN: You want to have a crack at
13 the higher level to what end?

14 MR. MANSUETI: Yes. Granger, you're
15 asking tough questions, but questions that need to
16 be asked, and it's fair.

17 MR. MORGAN: That's why they pay me the
18 big bucks to sit here.

19 (Laughter)

20 MR. MANSUETI: Well, first, the stock
21 answer is the QER is going to come up with three
22 things or has the option to. One is any

1 particular actions that the executive branch
2 should take, okay? Anything that the executive
3 branch should take in terms of R&D on energy
4 issues. And the third one is any possible
5 legislation.

6 And you look back or when I look back,
7 the only one that I was involved in in my short
8 career in the Federal government, the 2002
9 National Grid Study. You could say that perhaps
10 maybe the last QER done in the executive branch.
11 Even the 2003 Blackout Report. Both seemed to
12 bring, and they resulted in legislation or actions
13 by industry to fix a problem. And in both cases,
14 they seemed to bring together where people already
15 had been thinking is that the lowest common
16 denominator, is that no regrets? I don't know.

17 But in seeing that things came out of
18 that. What will come out of this? We don't know,
19 but the thought is let's give it a try. That's
20 the Energy Secretary's job.

21 MR. MORGAN: Okay. Thank you.

22 CHAIRMAN COWART: Merwin?

1 MR. BROWN: Merwin Brown, CIEE. Is it
2 possible that the most valuable outcome that could
3 come from your report would be identifying this
4 fact that the future is so uncertain, and that
5 needs to guide future activities and things like
6 that, that that is kept in mind because it may
7 help avoid someone coming up with a solution and
8 putting it in concrete, and then two years down
9 the road we regret it. Just thought I'd pose that
10 question.

11 MR. MANSUETI: I see that, yes.

12 CHAIRMAN COWART: All right. Thank you
13 very much, gentlemen. Did you have an answer,
14 Carl? Did you want to add to that?

15 MR. PECHMAN: No.

16 CHAIRMAN COWART: Larry was so succinct.
17 He just said "yes." All right. Thank you very
18 much. We're past the time on this panel, so I'd
19 like to move us along. And we're now -- Clark,
20 you've already risen. All right. I'll turn it
21 over to Clark Gellings for the next couple of
22 items.

1 MR. GELLINGS: I have risen. That's
2 good. I'm doing it at the bequest of David Till,
3 who's the chair of the Delivery Subcommittee. And
4 what we had decided to do was to do is put a
5 couple of presentations together, and one of those
6 will include a panel. All of this to help us
7 think through our outline, Carl, to see if we're
8 missing anything. It's quite a task to say what's
9 the power delivery system of the future going to
10 look with all of the uncertainties, and we've
11 heard some of those comments already.

12 So the way we're going to do this is,
13 first, we're fortunate enough to have a
14 presentation by Ron Melton. Ron is the Director
15 of the Batelle-led Pacific Northwest Smart Grid
16 Demonstration Project. And he's also the
17 Administrator of the GridWise Architecture
18 Council, and he's the team leader for Distribution
19 Systems and Demand Response at the U.S. DoE
20 Pacific Northwest National Labs. He's got quite
21 broad experience, as you might guess from those
22 few items that I've mentioned.

1 I'll introduce the panel of which I'll
2 play a role after he's done. And so, I think
3 you'll enjoy very much some of the work that he's
4 been doing with others don this issue of
5 transactive energy. Please.

6 MR. MELTON: Thank you. Well, good
7 afternoon. Thank you for inviting me to come
8 speak to the committee.

9 The GridWise Architecture Council, for
10 those of you who are not familiar with it, is a
11 group of 13 independent domain experts who
12 volunteer 20 percent or more of their time to work
13 on issues associated grid modernization, in
14 particular enabling the interconnected
15 communicating smart grid of the future. So the
16 topics of discussion that we've had so far this
17 afternoon are very much the nature of the same
18 sort of things that we discussed at the GridWise
19 Architecture Council.

20 Now, in the spirit of full disclosure,
21 one of the council members is in the room with
22 you. I'm sure he hasn't made a secret of that,

1 but Tom Sloan is one of our current members, along
2 with a number of other colleagues representing a
3 full cross-section of the different stakeholders
4 of the electric power system.

5 Over the past several years, the
6 Architecture Council has been spending quite a bit
7 of time on the topic of transactive energy. This
8 past fall we issued something called the
9 Transactive Energy Framework Document, which is
10 being circulated and we've been receiving comments
11 on that.

12 In the recent follow-on discussions that
13 we've had, we've had a meeting at PGM trying to
14 engage the ISO RTO community in particular because
15 they always ask the question, well, what do you
16 mean by this transactive energy stuff? WE already
17 do transactive energy. And, of course, they're
18 right. They already do. The use market
19 mechanisms. They use supply side elasticity and
20 supply curves as a first approach, at least first
21 from my point of view, to how do we balance the
22 system. How do we control the system looking at

1 it from a large, broad point of view.

2 But as we all know and as we've heard
3 articulated very well in the previous discussions
4 this afternoon, the system is changing and
5 changing dramatically. Increased penetration of
6 distributed energy resources, increased
7 variability both on the bulk power side with
8 renewable resources such as wind, but also in the
9 distribution systems on the consumer edge, also
10 with renewable resources, particular
11 photovoltaics, and distributed energy resources
12 kind of scattered here and there, plus, of course,
13 increasing numbers of intelligent devices, the
14 internet of things becoming a reality. And we see
15 here in the diagram a representation of all of
16 these different moving parts as we've sort of got
17 them scattered around in the system now.

18 So how do we coordinate? How do we
19 manage, and in some sense, how do we control or at
20 least affect the behavior of all these new moving
21 parts? There are new approaches needed to such
22 things, and transactive energy is emerging as one

1 of the possible ways to do that. One way you
2 might think about transactive energy is an
3 application layer of smart grid that's got a
4 convergence of control and economics to affect the
5 overall coordination of the different resources.

6 So as I mentioned, we had one of our
7 recent meetings at PJM, and one of the key
8 problems that we identified at that meeting was
9 the need to be able to articulate these concepts
10 to regulators, to policymakers, to legislators.
11 Tom is sort of one of our guinea pigs in this
12 regard, to decision makers, utility executives,
13 and so forth. And many of them when we start
14 talking about just hear geek, geek, geek, blah,
15 blah, blah. And so, we said, okay, we've got to
16 take a step back and come up with some mechanism
17 for communicating with them.

18 So we've put together a transactive
19 energy infographic, and I'm going to use that
20 infographic for the remainder of the presentation
21 here partly to test it on all of you, but also
22 because it does help us communicate some of the

1 key ideas and key concepts.

2 So this is a simplified version of our
3 definition, but it gets across the key points.
4 First of all, we're generally going to be talking
5 about prices and real-time prices for the most
6 part as the means of engaging customers. And
7 we're not just certainly talking about homeowners
8 and residential consumers. We're talking about
9 customers at all scales of the grid. And in many
10 cases, those customers are becoming not just
11 customers, but also providers. And so, how can we
12 engage them in the producing, buying, and selling
13 of electricity, recognizing that much of this, if
14 not all of it, will be automated, and still have
15 that reliable and cost-efficient electricity
16 system? So transactive energy, this is sort of
17 the objective statement for the overall
18 functionality.

19 Revisiting the motivations of why is it
20 important, well, we heard this morning early on,
21 customer choice is a key aspect of things.
22 Customers want to be in control of how they

1 interact with the electric power system. And so,
2 this is one of the key objectives, one of the key
3 drivers. And it responds, for example, to the
4 challenges that Kevin Lynn laid out this morning
5 and the overall approach that EERE and the Grid
6 Tech Team was taking and OE.

7 Secondly, and, of course, we've heard
8 about this as well, clean energy resources are
9 here to stay. There are some people who don't
10 like them. There are some people who complain
11 about them. My dad's neighbor has a home in a
12 rural community where he gets to look out his
13 picture window at the wind farm, and he hates it,
14 but they're here to stay. They're not going away
15 just because he doesn't like looking at the wind
16 farm. And so, how do we effectively engage these
17 things so that we can maintain an overall system
18 that's reliable, that's efficient, and that takes
19 full advantage of these resources?

20 Back to customers again. Now, the
21 customers want to be engaged, and the customers
22 especially want to prioritize what matters to

1 them. And this is going to be different for
2 different customers. We see, for example, some of
3 the big box stores beginning to take their energy
4 future into their own hands and go out and perhaps
5 come up with their own relationship to the
6 large-scale providers. We see Apple, for example,
7 with the Cupertino Campus project implementing
8 their own corporate campus micro grid with their
9 own energy resources. And they can be on grid or
10 off grid as they decide matters to them.

11 So how do we coordinate that? How do we
12 make that an asset for the grid overall, not a
13 question that we point to and wonder what to do
14 about. And, of course, speaking of micro grids,
15 micro grids seem to be emerging as a new piece of
16 the system. How do we take full advantage of
17 micro grids? How do we know how to use a micro
18 grid to help us with the black start of a larger
19 chunk of the grid? What kind of simple signaling
20 can we do to let the micro grid behave in a way
21 that's useful in that black start, and yet also
22 support the black start?

1 So these are some of the challenges.
2 These are some of the types of things that we're
3 trying to incorporate into this thinking about
4 transactive energy.

5 So let's take a look at some of the
6 ideas about how it works. And one of the
7 challenges the Architecture Council has in doing
8 this work, there are several of us, myself
9 included, who have specific techniques -- in our
10 case, transactive control and transactive
11 coordination on the Northwest Smart Grid
12 Demonstration Project, on the Olympic Peninsula
13 Grid Wise Demonstration, and on the AEP Grid Smart
14 Demonstration, where we've got specific
15 techniques. And it would be really easy to stand
16 up here and explain to you our specific
17 techniques, but that's not what this is about.

18 We're trying to take a step back,
19 articulate these concepts in a more abstract, more
20 conceptual way so we build a community where other
21 people come forward with their techniques as well,
22 and we can compare, and contrast, understand what

1 works in what situation, and hopefully get best of
2 breed solutions that emerge with the different
3 challenges that we're trying to address.

4 So our graphic again represents the
5 different moving parts of the system, and I'm
6 hoping there's a laser pointer feature here. I'm
7 thinking that might -- no. Well, the graphic
8 illustrates the different moving parts, and I'd
9 like you to notice a couple of features on the
10 graphic. One is the placement of industrial
11 consumers and producers on the boundary between
12 regional and local or distribution systems. So
13 these are becoming more and more a bridging
14 element, as I mentioned, with things like the
15 Apple Cupertino Campus project, which can live in
16 various relationships with the rest of the grid.

17 Retail energy providers also on that
18 boundary. They have a relationship to both sides
19 of the equation. And new energy service providers
20 well within the local boundary there, but we
21 expect to see the emergence of new energy
22 services, some of them first degree just providing

1 energy, but some of them second and third degree
2 values based on the analysis of the information
3 about how energy is transacted and used and so
4 forth.

5 So new customer choices begin to emerge
6 from the residential side. Thank you, sir. New
7 customer choices begin to emerge on the
8 residential side through the engagement and the
9 flow of information in the system. We see here in
10 the example, of course, we've got some rooftop PV.
11 We've got some electric vehicles and so forth.
12 How does the customer get to take full advantage
13 of those as things they've invested in, but also
14 how does the grid get to take full investment of
15 those?

16 Well, it's through the communication of
17 information, both directions. What does the grid
18 need as reflected in price signals? In our case,
19 we tend to talk about those as incentive signals,
20 and what the customer communicates back is what
21 they plan and intend to do so the grid is
22 informed, achieving one of the objectives of the

1 ISO RTO community, which is better visibility of
2 what's happening on the distribution side.

3 Of course, the micro grids begin to pull
4 that all together in local communities. The same
5 type of things are required in that case, the
6 flows of information, so that there is ability to
7 maintain and coordinate the integrity,
8 reliability, and resilience of those and to enable
9 those micro grids to communicate the next layer up
10 for the same purpose.

11 I mention the expanded services. This
12 is key because we think that one of the things
13 that got to happen in the evolution of the system
14 is the revealing of value, and through that
15 revelation of value, opportunity emerges for
16 commercial entities, for new players in the
17 system. It's similar to, if you think back to
18 smart phones before they were smart, what made
19 them smart, of course, was adding the ability to
20 share information broadly. And that enabled the
21 creation of things we hadn't even imagined yet
22 that we now call apps on our smartphone that do

1 all sorts of things for us we didn't even know we
2 needed done. So imagine that at least in part in
3 your energy future.

4 Speaking of that value, though, one of
5 the key principles we think is important here is
6 alignment of value so that the value streams of
7 the customer are aligned with the energy service
8 provider, are aligned with the distribution system
9 operator, are aligned with the market operator,
10 and the transmission system operator. When those
11 value streams get out of alignment, then they are
12 competing in logarithmic ways, which could be the
13 bad things happening in the system.

14 And finally, looking at the larger
15 picture, as I mentioned, one of the key statements
16 that we've heard recently from the ISO RTO
17 community is we need better visibility into what's
18 happening in the distribution system. But they
19 recognize it's not realistic for them to try to
20 control everything that's happening in the
21 distribution system. Not only would there be
22 great resistance to that, but it's not even

1 practically possible. In an article that was in
2 the June issue of IEEE Spectrum, "The Rise of the
3 Personal Power Plant." And Clark is quoted a bit
4 in that article. It points out that the emergence
5 of hundreds of thousands or millions of points in
6 the system that are transacting in some way is in
7 the future of the power system.

8 If you imagine that number of elements
9 transacting and operating and hopefully
10 interoperating, you realize that we can no longer
11 expect to do centralized optimization calculations
12 to try to control all of those things. So we have
13 to have distributed approaches that reveal
14 information to the bulk power site so that it
15 understands what's going on and what to do expect
16 as the system operates, but at the same time take
17 advantage of local control, local optimization to
18 help achieve global optimization results.

19 So what are some of the benefits that we
20 see would accrue from these type of approaches?
21 Well, first of all, there's a need for liability
22 through the integration of the different elements.

1 We heard Paul Centolella before he left mention
2 the need, especially on the distribution side, for
3 integrated information architecture, integrated
4 control architecture, and integrated market
5 designs. Absolutely. That's what we have to have
6 to achieve this reliability result through that
7 integration to manage all these moving parts.

8 Affordability. Because of the
9 empowerment of customers to make informed
10 decisions about the way they use and participate
11 in the energy system, more affordable solutions
12 emerge for them. Sustainability. This is both a
13 benefit and a requirement, if you will. These
14 approaches aren't something that you can just come
15 in and sweep away everything we've got right now
16 and bolt all this new stuff in. But these
17 approaches are approaches that we think can be
18 implemented incrementally to modernize the system
19 on a step-by-step basis.

20 And finally, efficiency. One of the
21 keys here is the convergence of economics and
22 control and the use of the power of economic

1 activities and markets to help drive the
2 efficiency of the system, and continue to have a
3 reliable and energy efficient system in the end.

4 So this may seem to you, if you're
5 familiar with the GridWise Architecture Council to
6 be new business for us. The Architecture Council
7 is well known for the interoperability
8 context-setting framework in the so-called GWACK
9 stack on interoperability. But, in fact,
10 transactive approaches are one of the earliest
11 motivations for that focus on interoperability.

12 This is a slide from 2005 just after the
13 Architecture Council was formed, and this is the
14 final build-up of an animation sequence which
15 contrasts trying to have large number of devices,
16 in this case, the grid in a building, interacting
17 through conventional call-up, make a contract,
18 lots of paper flowing back and forth. It doesn't
19 get you where you need to be. And this shows the
20 interoperability-enabled transactive interface
21 that was a desired future state.

22 As I mentioned, the Architecture Council

1 has been trying to broadly engage a set of
2 stakeholders in this through a set of different
3 workshops that we've had starting in 2011. And
4 we've hopefully had some success in that, but we
5 feel that there's a continuing need to engage
6 stakeholders broadly. The regulatory and policy
7 community, the utilities themselves to understand
8 business model and value creation opportunities.
9 The utilities and the vendor community to
10 understand conceptual architectures and ultimately
11 physical architectures for these systems. And the
12 vendors as well on the cyber physical
13 infrastructure that's required to implement these.

14 So what are the next steps for us?
15 Well, we're in the process of updating the
16 Transactive Energy Framework Document. It's
17 available if you're interested on the Architecture
18 Council website, gridwiseac.org. We're also
19 putting together a number of different documents.
20 The infographic, we've put together some TE
21 principles that are high-level statements of
22 requirements. We're working on an article we call

1 "Transactive Energy in 1,000 Words." That should
2 be out soon.

3 And last, but not least, we're planning
4 right now for the second internationally
5 conference on workshop and transactive energy to
6 be held in Portland, Oregon on December 10th and
7 11th, co-coordinated with the SGIP meeting to be
8 held that same week in Portland, Oregon.

9 So with that, thank you for your
10 attention. I'll stop and hopefully we have time
11 for questions.

12 MR. GELLINGS: Thanks. Good job. I
13 think we do have time for a few questions, and we
14 will have another discussion period when the panel
15 is finished. Carlos?

16 MR. COE: So, Ron, great presentation.

17 MR. MELTON: Thank you.

18 MR. COE: The one question I have is
19 value alignment. It's easy to say and hard to do.

20 MR. MELTON: Yes.

21 MR. COE: So I've been to a lot of
22 discussions on rate structure and things. And one

1 of the things that seems to be missing in rate
2 structure is sometimes you don't understand the
3 idea of giving the right incentives to give the
4 right effect. And the question is in value
5 alignment. Are you taking that into consideration
6 to come up with maybe new ways to promote, I mean,
7 because in a sense what you would like to do, if
8 Apple had the right incentives, they would
9 structure their micro grid in a different way than
10 they're doing today.

11 MR. MELTON: Perhaps. I guess we've
12 thought about value alignment in a sense a little
13 bit more architecturally. And if there's any
14 aggregators in the audience, they might not like
15 what I'm about to say. But if you think about the
16 way that aggregators operate today, they're often
17 operating on the side, if you will, separate from
18 the distribution system operator and perhaps even
19 the energy service provider.

20 So imagine a future situation where I
21 have a wind market of some kind that's
22 incentivizing behaviors to help integrate wind.

1 And I have an aggregator that's not aligned with
2 the distribution system operator and the energy
3 service provider, who's participating in that
4 market. They may send a signal to a lot of end
5 points on the grid, say, people with electric
6 vehicles. There's a huge wind up ramp. Everybody
7 charged.

8 Well, if everybody starts charging
9 without there being alignment with the operational
10 considerations of the distribution system
11 operator, I may do some serious bad things in the
12 distribution system. If there is alignment of the
13 aggregator with the distribution system operator,
14 then the distribution system operator has a chance
15 to modulate the aggregator's require or incentive
16 so they can maintain the integrity of the
17 distribution system in concert with the
18 aggregator, you know, sending their signal that
19 causes people to want to start charging.

20 MR. GELLINGS: Granger?

21 MR. MORGAN: That's very nice. Could we
22 go back to the overall diagram?

1 MR. MELTON: Yes. I'll try to, let's
2 put it that way.

3 MR. MORGAN: Yes, that's good. Well,
4 okay. Yes. So when I look at this, what concerns
5 me is who owns what and who sets the rates. So in
6 the left and bottom portion, we've taken that
7 apart in different entities on things, and there
8 is a transactive market, as you say.

9 In the upper right corner, however, all
10 the wires are still owned by legacy utilities. I
11 can't sell power to somebody else. I mean, I can
12 only deal with my legacy utility. And
13 furthermore, at the moment the rate structures
14 basically assume that I have to pay a rate so that
15 if I go offline as a distributed generator,
16 there's a potential cost to the supplier. But
17 there's no recognition of the fact that if I have
18 a distributed generator, I may be helping the
19 distribution company or maybe even the
20 transmission company.

21 So it strikes me that ownership, and who
22 set rates, and what gets included or not included

1 in rates is absolutely critical to the upper two
2 right boxes.

3 MR. MELTON: Absolutely, and this is
4 sort of the heart of the whole discussion. So
5 these are partly about ownership and partly about
6 function. And we don't want to assume a specific
7 model, whether it's a distribution operator and
8 energy service provider or the two combined. But
9 the questions you were just asking are absolutely
10 the kind of questions that have to be addressed by
11 any specific formulation of a transactive energy
12 approach.

13 MR. MORGAN: So one other comment. I
14 mean, at the risk of insulting some of my utility
15 colleagues around the room, U.S. utilities have
16 not been the most innovative entities in the
17 country. Yes.

18 And so, the issue of who owns what can
19 also have a big impact on the rate at which
20 innovation occurs.

21 MR. MELTON: Absolutely right, yes.

22 MR. GELLINGS: I'll take Sonny, then

1 Barry, Patricia, and then we'll move on. We'll
2 get you later, okay? Sonny?

3 MR. POPOWSKY: Thanks. It's really a
4 question for you and for Tom Sloan as well. My
5 concern is from the residential customer
6 perspective, I think you said customers want to be
7 in control of how they interact with the electric
8 system. That hasn't been my experience, I guess,
9 talking to residential consumers over the years,
10 and I still do that a lot. I still do a lot of
11 consumer education. It's almost sort of the last
12 thing on their mind is how they interact. They
13 want to turn the lights on. They want the lights
14 to be on. They want to get a reasonable bill at
15 the end of the month.

16 How have you dealt with the residential
17 consumer issues in the GridWise Architecture with
18 your constituents, Tom? How do you bring them
19 into this?

20 MR. MELTON: So, first of all, you're
21 absolutely right. People we found on the grid
22 wise on the peninsula demonstration, if you were

1 lucky, you could get somebody to think about how
2 they used energy for one hour a year. So that's
3 why all this has to be highly automated.

4 But we do see with the emergence of
5 rooftop PV in many parts of the country people are
6 concerned about how they interact with the
7 electric power system in some ways. And we have
8 to enable them and empower them to keep that as
9 simple as possible so their main concern is
10 turning the switch on and the lights come on, but
11 not tell them that means that somebody is going to
12 reach through the meter and start taking control
13 of everything in their house.

14 MR. SLOAN: Yes, and if I may follow up
15 on that, Sonny, because I, too, have found that
16 most people don't even set their programmable
17 thermostats. So the idea that they're going to
18 interact on a regular basis is kind of out there.

19 What we have talked about is a
20 distinction between, you know, the commercial
21 sector where you do have energy managers, and
22 they're becoming more interested in interacting,

1 and those residential customers, as Ron said, that
2 are putting PV sets on their roof, or having wind
3 turbines in their backyard, or having electric
4 cars they want to be able to buy and sell. So
5 it's a very small, but it's often a very vocal
6 group.

7 And I think what we're trying to do is
8 say as that segment grows, the grid system has to
9 be able to accommodate it.

10 MR. MELTON: And one of the key
11 challenges, of course, is how to incentivize them
12 to care enough about this to try some new things
13 out. In the Northwest with electric water
14 heaters, if I remember right, it's about 4,500
15 gigawatts of demand response potentially
16 available. That's a huge resource relative to
17 things like wind integration if we can get people
18 to care enough about participating.

19 MR. GELLINGS: Barry?

20 MR. LAWSON: Thank you. Two quick
21 points and then one question. First, I would say
22 keep this a customer choice, not a mandate. I

1 think you've heard already from Sonny talking
2 about whether this is a primary focus of the
3 residential customer. Second thing, second point
4 is many who look at this kind of a setup and talk
5 about these issues don't realize that most of
6 these folks still want the electric utility to
7 still be there for them when their systems don't
8 work, and they don't realize that there is a cost
9 to that. And a lot of times I think that's lost
10 in this discussion.

11 If you still want to be interconnected,
12 you still have to pay. You're not paying for
13 energy. You're paying for the facilities to be
14 there. And then if you use the energy, you're
15 paying for it. But I think that gets lost here
16 often.

17 One thing you said that sort of struck
18 me was that ISOs and RTOs want visibility into the
19 distribution system. And I think they've got
20 their hands full with the transmission system
21 these days. Maybe you could expand on what they
22 want to see down into the distribution system that

1 even, you know, is related to their formal role.

2 MR. MELTON: Well, one of the things I
3 can tell you about specifically because the Chief
4 Economist at PGM gave us a presentation on it at
5 the GridWise Architecture Council meeting there,
6 was they want to see revelation of demand
7 elasticity. They want to understand what those
8 elasticity curves look like.

9 You know, PG&M, for example, has a
10 five-minute market that assumes that you could
11 have demand of participating in such a market.
12 But they don't understand, well, elasticity
13 curves. So that's just one example.

14 MR. GELLINGS: Patricia?

15 MS. HOFFMAN: One thing in all this that
16 I think we need to think about is, what is the
17 problem we're trying to solve? And I go back and
18 I look at it from my perspective. When we start
19 talking about the distribution system, what we're
20 talking about is very tailored solutions to a
21 specific problem that a distribution entity may
22 have. I mean, on the bulk power system, you're

1 looking for competition. You're looking for, you
2 know, things that could be provided in, I would
3 say, a variety of locations in support of the bulk
4 power.

5 But when you get to the distribution,
6 you're really talking about tailored solution, or
7 if you've got a specific constraint on the system
8 that you're looking for a specific solution. In
9 the olden days, I mean, you did either direct load
10 control or the utility could tailor the solution
11 that's sent via, you know, a traditional load
12 control mechanism. When you're looking at market
13 systems, it's how do you provide that, you know,
14 price structure to provide a very tailored
15 solution set.

16 So you don't have to say, all right, I
17 want everybody, you know, in the whole State of
18 Texas to do X. You only really need a certain set
19 of customers to provide a certain response of what
20 you're looking for. And I think we've got to keep
21 that in mind.

22 So if we take a step back, what we've

1 got to think about is what is the transparency we
2 need to have with the distribution utilities, with
3 the regulators, with the customers to understand
4 that there is a problem that is trying to be
5 solved by doing X, not that we're just trying to
6 create, you know, some sort of extravagant market
7 structure.

8 You know, I think we need to get back to
9 being very clear that it's what the system
10 requires as a starting point.

11 MR. MELTON: Yes, very good. Thank you.
12 I agree 100 percent with that.

13 MR. GELLINGS: Thank you very much.

14 MR. MELTON: Yes, that's the one you
15 gave me. But I have copies of the infographic I'm
16 going circulate around, so wander through it.

17 MR. GELLINGS: Could I ask my panel to
18 join us up here, please? So we'll have, I hope, a
19 few moments to capture a couple of those. I saw
20 the tent cards go up after we were still debating,
21 and sorry about that. Boy, you could talk about
22 these issues for days.

1 First up, let me quickly introduce each
2 of the panelists. I'm going to participate as
3 well regarding a specific issue. Doug Larson is
4 with us here. He is the Executive Director of
5 Western Interstate Energy Board. Just in brief,
6 30 years' experience in the Western Regional
7 energy issues.

8 Stan Beuning is the Director of Market
9 Operations for Xcel, and another 30 years of
10 experience in energy market design. I won't tell
11 you how many years I've had because I'm going to
12 embarrass myself.

13 Mike Kormos, Executive VP of Operations
14 for PJM. And Carrie Cullen Hitt, Senior VP for
15 State Affairs for the Solar Energy Industry
16 Association, also all with a wide range of
17 experience.

18 So some of you have been engaged with us
19 in this conversation, and certainly our colleagues
20 at DoE and us have been coordinating here. In
21 fact, specifically some of the frameworks for
22 benefit cost assessment frameworks that we've

1 developed with DoE, which come to the fore here.
2 This is the same thing I'm going to give a piece
3 in Michigan, and so pardon me for not changing the
4 title here.

5 The subject is the integrated grid. The
6 basic premise here -- I loaned him my pointer, so
7 now I'm going to use that. I think you know who
8 we are, EPRI. Our basic mission is reliable,
9 safe, affordable, environmental responsible
10 electricity. And, of course, we've been
11 discussing this issue about how the power system
12 is evolving, distributed resources of all kind.

13 We keep going back to solar, but that's
14 only a small part of the overall issue. We're
15 really talking about everything from affordable
16 tanks certainly to micro generation of various
17 kinds, storage, plug-in electric vehicles, and
18 fuel cells. And maybe importantly, the unknown
19 appliance, okay, whatever that is.

20 And I say this purposefully. Some of
21 you heard me to do this anecdotally, but when I
22 used to testify as a key witness for a major

1 utility, I always tried to put it into the
2 forecast of unknown appliance because about every
3 10 years something comes up that we hadn't seen
4 before. Well, I gave up on it because I got beat
5 up real well. It always sort of like, Mr.
6 Gellings, would you define the unknown appliance.

7 So the point here simply being as we
8 start thinking about the flexibility we want to
9 build into the power system, we need to think
10 about how that flexibility would allow us to
11 embrace technology that we can't even really
12 perceive just at the minute. We know the grid
13 provides transactional value because it allows the
14 ability for some of these consumers to sell back
15 to the utility provider all the arrangements.

16 We also know the grid provides and
17 functions and as balancing resource, provides
18 reliability, provides start- up power without the
19 grid. It would be difficult to start up some of
20 the appliances we have in our homes, even a
21 central conditioner. We can engineer around that,
22 I know all that. But we know the grid provides

1 enormous value. We know the grid also costs, and
2 those costs are not necessarily reflected today.
3 Capacity costs for an average residential customer
4 about \$51 a month. I didn't say that's what he
5 pays. That's what it costs us to provide that
6 capacity.

7 And the point here is that if we don't
8 figure out how to balance between volumetric
9 energy charges and capacity charges, we're going
10 to run into a problem with compensating adequately
11 the utility. And the idea which has been
12 displayed in a couple of different diagrams now --
13 Ron had a nice one -- but the idea is we're going
14 to have various sets of local energy resources,
15 which we want to make part of grid operations and
16 planning, and how do we do that?

17 And so, I'll go through this slide, and
18 then I'm going to stop and not do the rest of
19 them. But the question is how do we understand,
20 and then organize ourselves to carefully analyze
21 the system impacts of distributed energy
22 resources. No big deal. We have two percent out

1 there or something like that of penetration.
2 Don't care, okay? But what we're all trying to
3 address is what happens when we really get serious
4 about it? And it's going to happen, right?

5 So at first, as customers adopt these
6 devices I've got good voltage support and I've got
7 some loss reduction that occurs. And actually
8 that goes on. At some point when I get high
9 enough penetration, I can avoid some capacity,
10 particularly on the T&V system. I can reduce
11 losses at sub- transmission level. And eventually
12 if I get enough of them and I have some control
13 over them or at least good visibility, I can offer
14 frequency support to the system, and realize some
15 energy capacity and ancillary services from these
16 distributed energy resources.

17 The bad side of this is that as I start
18 penetrating, and really this is on a
19 feeder-by-feeder. Somebody intimated that
20 already. This is a really on a feeder-by-feeder
21 basis. I've got potential issues with voltage
22 support. I can end up with down and out capacity

1 issues. I can get reverse power flow, reactive
2 power balance that's out of whack. I can get
3 increasing re- dispatch from transmission
4 constraints. And eventually I don't do something
5 from a technology point of view, I end up with
6 voltage and frequency stability issues and
7 generation capacity ancillary service issues, the
8 California duck curve. And I could put it up and
9 we could have at that for a while.

10 Okay. So what are we doing about it?
11 We are establishing a benefit cost framework, not
12 re-inventing a bunch of models, but using
13 existing EPRI and DoE models, and stitching them
14 together in a way that we can provide tools to the
15 industry to do this. There's more to that than
16 just those. There's also the issues of
17 interconnection and regulations that have to be
18 modified. There's the issue of informing
19 regulators and legislators. I'll try my best on
20 whatever that date is, Tom. It's coming up soon.

21 And so, IEEE 1547 was mentioned. Still
22 a problem. I said this at our last meeting. Even

1 if 1547(a) is successfully balloted, which it
2 probably will be, then we still have to get every
3 state to adopt it, and that may not be the easiest
4 thing in the world.

5 So the point of doing this and inviting
6 these good folks is to get some different views on
7 what this may all look like in the future. So I'm
8 going to take them in the order that they're
9 listed on the agenda. Doug, I'm going to ask you
10 to go first, if you would. Would you put his
11 material up, please?

12 MR. LARSON: Thanks very much, Clark.
13 So at some point I'll be able to control the
14 slides, or do you want to just advance them?

15 MR. GELLINGS: No, go ahead with the
16 slides, Doug Larson's.

17 MR. LARSON: So while they're looking
18 for that, let me start. I work for an
19 organization of 11 Western states and three
20 Western Canadian provinces. Our board of
21 directors are appointees of the governor or their
22 premiers. And our geography is -- actually the

1 comments are my own, not the organization's.

2 I should add, if you go to the second
3 slide. So my perspective is from the Western
4 interconnection. Unusually we have low or no load
5 growth. This is uncharacteristic for the West, a
6 generally growing region. The chart in the upper
7 right actually is some work that Lawrence Berkeley
8 National Lab did for us. If sort of deployed
9 currently available efficiency technology, we end
10 up with negative load growth in a lot of the
11 states.

12 We are also seeing, contrary to popular
13 perception, a decline in the use of the existing
14 grid. And we're likely to see more of a decline
15 in use of the existing grid as we retire more coal
16 plants. Typically these are the ones 500 or a
17 thousand miles from load centers.

18 We operate a highly-fragmented grid,
19 unlike most of the country. We have 37 balancing
20 authorities. That's what's on the map. We have 54
21 transmission operators. Each is essentially their
22 own fiefdom. We have a number of major

1 transmission projects proposed in the West. They
2 are not going forward, and they're not going
3 forward because there's a lack of demand for the
4 use of the wire, not because of permitting
5 problems or financing problems. Nobody wants the
6 pile-up that the long distance would deliver.

7 And part of this is driven by the
8 dramatic drop in solar costs, and I think it's
9 dropping faster than any of the competitors. So
10 if you go to the next slide, this is data from
11 EIA. It shows a cost of generating options over
12 the last three years. The bottom line here is
13 that solar costs have dropped substantially while
14 the costs of many other generating technologies,
15 particularly combustion technologies -- to me
16 there's nothing to suggest this trend is going to
17 change. These are driven by international
18 markets, not things like U.S. DoE investment in
19 technology.

20 So my central observation is 40 years
21 ago we had an electric system which was heavily
22 reliant on local generation. For the past 40

1 years, at least in the West, we've moved to
2 creating a system with large centralized
3 generation, typically coal plants, again 500 or a
4 thousand miles from load centers. We invented
5 more sophisticated SCADA systems and control
6 systems to manage this far flung network. It's
7 very different in the East, which is much more of
8 a mesh network.

9 In the 21st century, we're likely to
10 head back to where we've been in some regards,
11 except with regard in the sense of having local
12 generation or distributed generation being the
13 dominant source of power. And the difference
14 being is we're going to have a lot more
15 sophisticated controls than we had last time
16 around.

17 So what might accelerate or retard this
18 trend? Obviously battery breakthroughs. In the
19 extreme, it's a tipping point. It enables people
20 to leave the grid economically. PV improvements,
21 again I think they're accelerating, probably
22 driven by worldwide demand as much as U.S.

1 investment. Pricing systems may spur innovation
2 at the distribution level. That would accelerate
3 this trend that I think we're seeing anyway.
4 Entry of new market participants, which we are
5 already seeing, solar city. Getting into both the
6 solar business as well as storage business. Or
7 existing companies deciding to reinvent
8 themselves.

9 So what could retard this kind of trend
10 that's already under way? We have some new
11 breakthrough in central station technology to
12 undercut the cost of solar in the future. That
13 could retard this. Institutional resistance by
14 utilities who want to keep the status quo.
15 Clearly that will retard the speed at which this
16 transition will occur, but not probably not stop
17 it. And the division of responsibilities between
18 FERC and the states, the jurisdictional division
19 here I think is going to become increasingly
20 counterproductive as the lines between what's a
21 distribution issue and what's a transmission issue
22 get increasingly blurred.

1 So what does all this mean at least from
2 a Western perspective? The transmission system
3 might become a backup system used to balance
4 energy, maybe used to delivering economy energy,
5 things like hydro runoff, generate electricity in
6 the Northwest to California in the springtime. We
7 might see improvements in grid vulnerabilities and
8 resilience from this kind of future. Clearly
9 we're going to have a distressed distribution
10 system.

11 In this kind of future we're going to
12 need -- it's already been said here -- greater
13 visibility from the volt power system into the
14 distribution system with two-way communication.
15 Better ways of accommodating the ramps,
16 particularly in the West, the ramps that are
17 driven by solar both at the utility scale and
18 distribution level.

19 We're going to need to accommodate
20 storage. We're going to need faster generation.
21 We're sort of way behind most of the country in
22 the sense we don't have energy and balance

1 markets, but we're about to get our first that
2 covers multiple states. Faster generators. A
3 responsive gas delivery system to meet the ramps
4 as illustrated by California duck chart.

5 And we need to -- probably the hardest
6 one -- redesign the relationship between FERC and
7 DoE -- I mean, FERC and the state POCs. Yes, not
8 in my lifetime, but maybe the next person's
9 lifetime.

10 My last slide, these are some points of
11 needs we have sort of in the near term.
12 Deployment of new grid monitoring and control
13 technologies. We've invested \$100- and-some
14 million in synchrophasors in the West. The data
15 is flowing. We now need to develop applications.
16 DoE has been very supportive in that area.

17 And along those lines, Pat Hoffman, you
18 mentioned earlier about the meeting you had among
19 the labs to sort of sort through whose expertise
20 lies where. That would be very helpful for
21 Western states to better understand that.

22 It would be nice to have some additional

1 work in fostering the response of distribution and
2 consumer side technologies to support analyses of
3 how this transition to a local/distributed
4 generation is going to affect consumers. We've
5 spent some time talking in the West about death
6 spirals for utilities. Frankly I think that's
7 less important than the future for consumers.

8 Smart companies figure out ways to make
9 money no matter what the regulatory scheme is.
10 PG&E, which theoretically is losing customers to
11 distributed solar, they invested heavily in solar
12 city. I'm sure they made a nice, fine recoup on
13 that, and I think Warren Buffett, Commissioner, is
14 smart enough to figure out he can make money off
15 of solar plants as well as off utilities. So I
16 don't think we really need to worry as much about
17 the death spiral for utilities as we do for
18 consumers.

19 We also need to support some regional
20 solutions to aid in these ramping challenges.
21 It's much harder to ramp for solar than it is for
22 wind. We need some support work on grid

1 reliability as we transition in the West away from
2 central stations which have a lot of spinning mass
3 to a future which doesn't have much spinning mass.
4 So these are sort of the near-term fixes from the
5 perspective of the bulk power system looking how
6 do we preserve our future as a bulk power system
7 in the face of this transition to distributed
8 generation, local generation.

9 But I submit that DoE's job is perhaps
10 to look further into the future and consider
11 looking at the problem the other way around. And
12 that's what's needed to accommodate its end-state
13 where most of our generation comes from the
14 distribution system. And from this perspective,
15 it may be useful for DoE to develop information on
16 what will be needed in that kind of end state.
17 And if you really want to step out on a limb, Pat,
18 you could also begin to think about how would you
19 rank areas as to their preparedness for this kind
20 of future.

21 So, Clark, that's my quick comments.

22 MR. GELLINGS: Doug, that was excellent.

1 What we're going to do is ask each of the
2 panelists to give their brief presentations, and
3 then we should have plenty of time for great
4 discussion. So, Steve?

5 MR. BEUNING: Okay. Thank you. While
6 the presentation is getting called up, I'll repeat
7 Doug's disclaimer. I'll inflict upon you a lot of
8 my personal views in this discussion. And while
9 the slides are coming up, I'll just mention a
10 couple of attributes.

11 Xcel Energy has been ranked the number
12 one wind energy provider by the American Wind
13 Energy Association for 10 years running. So we
14 have a good decade of performance with respect to
15 renewable integration and the wind.

16 At a personal level, I'm President of a
17 group called UVIG, the Utility and Variable
18 Generation Integration Group. Our membership
19 operates 50 of the 60 gigawatts of installed wind
20 capacity in the United States, and we've recently
21 changed our membership structure to expand our
22 focus on solar systems and solar operational

1 impacts as well for our members.

2 I'll be very brief with my comments
3 today. I can summarize things pretty high level.
4 Markets are good in the evolving structure for
5 utility operations, especially in scenarios where
6 we have a lot of variable type generation that's
7 producing this distributed bonanza that a lot of
8 people are foreseeing.

9 One of the things that markets can
10 provide in contrast to a stand-alone utility type
11 operation is a broader view of situational
12 awareness. How does the variability of the
13 different resources on the grid impacting flows in
14 subsequent reliability? How do we best respond to
15 contingent operations on the grid? What resources
16 should be deployed? Those answers are kind of
17 inherent in a market operator's awareness of the
18 grid in contrast to a stand- alone utility.

19 A market operator can provide for
20 production cost optimization. I think some of the
21 signaling that was talked about Ron's presentation
22 is a good example of inputs into production cost

1 optimization.

2 There's one other thing that you get in
3 a pooled regional market operation in contrast to
4 the old utility paradigm of bilateral transaction
5 activity. And that is by simultaneously netting
6 all of your supply and demand into a single supply
7 obligation target, you accomplish a diversity
8 benefit. And as variable resources increase their
9 penetration on the system, that offsetting cloud
10 cover in one area compared to the sun coming out
11 in another smooths the supply and balancing
12 targets and makes a regional market more efficient
13 than stand-alone utility operations. Lastly,
14 regional markets by their broad view of activity
15 can provide better inputs into regional
16 transmission planning decisions so that we're not
17 investing in unnecessary elements in the grid.

18 We've talked about the micro grids and
19 the distributed generation developments on the
20 distribution system. I have to share with you my
21 view that small need is big. I think it's cool.
22 If I could live on my island and have my local

1 system and backup storage on site, I would do it,
2 and maybe everybody else in the room would, too.
3 But there are those times and periods where if my
4 local resources falter, I still want to have that
5 resource to back up supply. I want it to be
6 convenient.

7 As we're doing those type activities, I
8 think it was mentioned in the dialogue, there's a
9 value in that backup supply that requires a proper
10 allocation of costs. And this regulatory snarl
11 that Doug mentioned is something that I've
12 certainly observed. I have an experience with
13 getting a utility bill from a rural electric
14 cooperative, which simply amended its rate
15 structure to go from energy- based cost recovery
16 to a facilities access charge.

17 And overnight my bill went up quite a
18 bit. The utility sent me a letter that said,
19 well, whether you use on kilowatt hour or a
20 hundred, you're buying the option to get the
21 backup from that grid. So you should be paying
22 for that. One of the things we see with regulated

1 utilities like mine is that we don't necessarily
2 have that regulatory flexibility to just change
3 that paradigm overnight. And so, the homework
4 that will have to be done to get to a case where
5 there's a proper allocation of the fixed costs of
6 the grid and the distribution system to customers
7 who retain that option to fall back on regional
8 supply is important.

9 Lastly, I think this is probably the
10 most intriguing area for this room, and that is
11 the philosophy battles that we're all facing.
12 There are lots of different paradigms for how the
13 grid should be accessed, paradigms in terms of how
14 you evaluate your rights to accept deliveries from
15 the grid or make deliveries to the grid, how those
16 costs of the grid developments are allocated. My
17 own personal opinion is we are evolving to a
18 postage stamp rate design for grid access whether
19 we want to admit it or not, and that a regional
20 transmission organization becomes the money
21 collector who allocates that cost to the grid
22 investors. But we certainly don't have any

1 consistency on that theory at this point in time.

2 We also are seeing a lot of interesting
3 battles right now in these regional market
4 constructs with respect to how they allocate costs
5 between themselves. PG&M and MISO, for example,
6 were neutered by FERC early on with respect to
7 being able to allocate costs to one another for
8 deliveries between the regions for enjoying that.
9 On the other hand, SPP and MISO never had that
10 prohibition to charge for transmission service,
11 and they're locked in an interesting battle right
12 now with respect to allocating costs between the
13 regions to the extent dispatch optimization flow
14 impacts exceed some type of contract path
15 entitlement.

16 And probably what would qualify as
17 middle ground as we see the California ISO and
18 Pacific core energy and balance market development
19 in the West are where that issue being mooted to a
20 certain extent because the EIM participants are
21 saying they will only make deliveries of dispatch
22 to ISO up to the level of reserved path rights

1 between themselves. So they're for the moment
2 evading this issue of to what extent should full
3 grid utilization occur as compared to the use of
4 contract path rights.

5 But this is a big area, I think, for
6 evolving regional markets, and it's kind of hidden
7 with respect to the glamor of distributed networks
8 and smart grids and things like that. But this is
9 really where the dollars flow.

10 Lastly on this subset here, the
11 market-to-market dispatch practices and the
12 techniques that are used for border price
13 convergence between areas that establish a market
14 clearing price are not consistent in the industry.
15 We see a lot of experimentation going on right
16 now. I think this is another market design area
17 where there can be a lot of work in the future.

18 And lastly, I think with respect to a
19 philosophical approach to grid evolution is we
20 have FERC out there with a pro forma tariff from a
21 long time ago. And we still have in the interim
22 not developed what I would call a transmission

1 customer's bill of rights. And as we see these
2 policy decisions evolve at a broad regional level,
3 how it impacts my utility as a consumer of
4 electric grid delivery rights is very much at
5 risk. You know, a policy change can have a big
6 impact with respect to my ongoing costs for
7 regional delivery rights, and I have very little
8 assurance that any of those entitlements are cast
9 in stone or that what I'm paying for today I will
10 continue to get in the future.

11 Examples include regional organizations
12 that are adopting practices more hostile to
13 capacity resources from outside their footprint.
14 Well, I've invested in transmission facilities to
15 accommodate those deliveries over time, but as the
16 regional access paradigm evolves biased against
17 external resources, my rights are eroded.

18 So there's issues like this in terms of
19 the philosophical underpinnings to these market
20 designs that we sure have to keep our eyes on as
21 we're doing the analysis going forward. That was
22 all I had.

1 MR. GELLINGS: Thank you very much.
2 Appreciate that contribution. Mike?

3 MR. KORMOS: Good afternoon, and thank
4 you. And I'll offer my disclaimer that, again,
5 I'm not speaking PJM. I'm actually speaking for
6 Terry Boston. I still have the slides from him.
7 So these are my CEO slides that I happened to
8 borrow. So that's going to be his opinion mostly.

9 I think everybody knows PJM. I'd just
10 throw the slides up there in case you are not as
11 familiar with us, where our geographic footprint
12 is and what the makeup of our system is. I think,
13 again, most people know we do three main things at
14 PJM. The first and most important is reliability,
15 making sure that the power system -- and I'll say
16 "power system" instead of "transmission system"
17 because while a lot of our authority is in the
18 transmission side of it, the fact of the matter is
19 we actually run a power system, not just a
20 transmission system.

21 Second, we do do market operations. We
22 bill out over \$30 billion, with a "B," a year, so

1 there is a lot at stake, and this where cost
2 allocation, in particular, gets to be quite a
3 concern with the dollars that we are talking
4 about. And then the last part is we also do the
5 15-year regional transmission plan for our area of
6 the country as well.

7 So let me just hit the top challenges
8 that we are seeing in PJM, and I think the good
9 news is I think you've hit on all of these at some
10 point this afternoon as you've talked. The first
11 is on electricity demand. Our system, like
12 everybody else, we are projecting sub-one percent
13 growth going forward, and, in fact, we do see
14 scenarios where we would see negative growth
15 either due to some of the efficiency gains that
16 we're seeing or through distributed generation.
17 The negative growth would be on the wholesale
18 meter side, so while the actual load may, in fact,
19 grow, there is obviously the concern at the
20 wholesale level we could, in fact, see negative
21 growth at our level.

22 We're in the middle of probably the

1 biggest fuel switch we've seen in a long time. We
2 were predominantly a coal region, and obviously
3 the recent environmental rules and regulation
4 changes has impacted our footprint significantly.
5 We've seen a large amount of coal retirement. The
6 good news for us is we also sit on top of
7 Marcellus shale and Utica shale. So far, we have
8 seen a huge increase in our gas resources as well,
9 and it's been a win-win for us at least from that
10 perspective in that we've been able to make this
11 transition probably a lot easier because of the
12 situation with natural gas.

13 Now, while that is the good side, this
14 winter the polar vortex I think has taught us a
15 lot of lessons as we become more reliant on that
16 forecast and the interoperability issues with
17 natural gas that we are facing. There are
18 probably some huge challenges that we'll have to
19 change and adapt as we move forward and become
20 much more dependent on natural gas.

21 The next one is, and the one I'll
22 probably focus on in my short period, is in the

1 integration of intermittent and demand-side
2 resources. I'm going to focus mostly on the
3 intermittent in the next couple of slides as I
4 talk about at least one issue we think is ripe for
5 discussion particularly for this group to deal
6 with.

7 We're seeing not a lot of challenges
8 now, and it's more about what we think we will
9 see. We don't have a duck curve. We don't have
10 the penetration other parts of the country have.
11 But this is an area we think we can get ahead of,
12 and we can allow the type of integration that
13 potentially can happen.

14 Demand side resources I'm not going to
15 talk about. I'll be happy to answer questions,
16 but if you haven't followed, we just received a
17 very interesting order out of the courts on demand
18 side and ultimately what that may do. We've had a
19 lot of success in demand side. It'll be very
20 interesting how it plays out. I won't have a lot
21 of answers right now as to how ultimately the
22 court order will impact, but that will be very

1 much up to FERC and what FERC ultimately decides
2 to do on remand and/or re-hearing in that
3 particular order.

4 And then the last one for us is natural
5 and unnatural disasters. Obviously from natural
6 disasters, weather-related, we've seen hurricanes,
7 earthquakes, tornados, deratios, super storms.
8 It seems that the weather is getting more extreme.
9 We have had extreme heat in September and snow
10 storms in October, so we're seeing all sides of
11 it. And then unnatural disasters is obviously the
12 Metcalf issues and things of that nature when
13 we're looking from a physical issue, potentially
14 terroristic acts against our grid.

15 So moving on, this is just a slide to
16 show you, again, the changes in our system, the
17 biggest being that fuel switch. You'll see gas
18 is, in fact, looking to outstrip coal as our
19 biggest supply going forward in the near future.
20 You can see historically that has not been the
21 case. But also you'll see the increase in demand
22 response and solar wind on a very steady incline

1 for wind and solar. Demand response has seen a
2 little bit of tapering, and again, we'll have to
3 see what happens going forward.

4 So one issue I did want to bring up as
5 far as what we can do going forward, and this
6 really is in relation to the renewable
7 integrations. And one of the things we're looking
8 at is in pushing through at least our processes in
9 our stakeholders it the use of smart inverters,
10 four quadrant inverters for solar. Now obviously
11 for us we're going to look at it at a transmission
12 level, at a utility grade level. That is what we
13 have sort of jurisdiction over, but obviously I
14 think it's applicable down at the distribution as
15 well.

16 I think most people are familiar right
17 now with inverters because of the current IEEE
18 standards and stuff. The conventional inverters
19 are just basically pushing real power in at a
20 unity power factor to us. And in some cases why
21 that could be good and in many cases it can be
22 good. What we're looking at is the ability to use

1 these resources, I think, as many people have
2 said. And I think Matt's presentation alluded to
3 it as well.

4 These resources could actually be very
5 helpful to the grid. If we were allowed to use
6 the full capability of the inverters, both from a
7 real power and from a reactive power perspective,
8 we believe there is and can be a lot of support
9 where these devices can, in fact, operate in all
10 of these quadrants, potentially teaming solar with
11 battery storage on the real power so that they can
12 both produce and, in fact, bring in real power as
13 well as the reactive taking VARS in and VARS out.

14 You'll see the picture on the side if
15 you're not familiar with the Public Service of New
16 Jersey's pole top solar installations. There's
17 280,000 of those out there. They do have
18 two-communication, in effect. This is, again, a
19 resource we would see that would be very useful.

20 I left this slide in Terry's deck, not
21 because I thought I needed to explain reactive
22 power to you. I just like the beer analogy, so I

1 figured I'd leave it in there. I think it's
2 funny. Terry uses this in a lot of presentations
3 he does where potentially people may not
4 understand active versus reactive power. I think
5 it's just neat to look at the beer in the
6 afternoon.

7 So this is one of the problems we're
8 looking to solve. Now, this is in Germany, and I
9 apologize, I don't actually know the source of
10 this graph. But the red line is looking at how
11 the solar inverters actually respond today. And
12 based on the regulations that they had in Germany
13 at the time, the solar basically gets off the
14 system at 50.2 hertz. They're programmed that as
15 soon as the frequency hits 50.2, they get off the
16 grid.

17 Now, interestingly I heard somebody
18 explain this to me. When I asked why, they said
19 it was actually a maintenance issue, but they
20 wanted to be sure that when they work on the
21 distribution circuit, the solar was off. So
22 they'd actually go in there with a generator,

1 crank the frequency up, trip them before they work
2 on it. Now, I don't know if that's a true story
3 or not, but that is what they said.

4 The unintended consequence if that was
5 what it is, is with the amount of solar that they
6 have now, they're actually seeing these kind of
7 frequency deviations where if the frequency gets
8 that high at 50.2, which is not that high, all of
9 the solar panel basically together simultaneously
10 trip off. You'll see what happens is that as that
11 happens, the frequency drops all the way down to
12 49.4 where they go into a low frequency.

13 So from a grid perspective, you went
14 from a slightly high frequency to now a very low
15 frequency. That is not the condition you would
16 want. And at worst, then as a grid operator you
17 are responding to that low frequency, and you're
18 now bringing equipment on to bring that frequency
19 back up. As the frequency then starts to creep
20 back up, all of the solar panels then all of a
21 sudden all jump back on at the grid. Unless
22 there's a cloud plastering on, they all jump back

1 up. You go right back up to 50.2, and we do this
2 all again.

3 That is obviously the problem we want to
4 prevent. Now, again, right now the levels we're
5 seeing, this is obviously not a problem. Our
6 issue is we want to get ahead of this. What we're
7 looking at is the blue and green lines where,
8 again, through the inverter technology, you could
9 actually have the inverters help control the
10 frequency or help control the voltage if we're
11 talking about reactive where, again, rather than
12 just being this binary on and off, they can
13 actually contribute to support and maintain the
14 appropriate voltages and frequencies that we wish
15 to see.

16 What we're doing about it and how we're
17 doing it is we have interconnection standards
18 right now for synchronous generators. When a
19 generator connects to our grid, they are required
20 to have automatic voltage regulators in place and
21 in service. They have to obviously respond to
22 frequency deviations. They do have droop control

1 functions that have to be modeled and meet
2 appropriate standards.

3 What we're looking for, can we apply
4 basically the same thing for a synchronous
5 generation. Through looking at the inverter
6 technology, can we look at some of the same
7 characteristics and create an interconnection
8 standard that take into consideration these
9 factors, and very much as we put the standards on
10 our synchronous generation, can we, in fact, do
11 this with the generators?

12 We started a working group. Our hope is
13 to actually file something with the FERC in the
14 fall, this timeframe, where, again, we believe we
15 can come up with these type of standards very
16 comparable to what we see on the synchronous
17 generation side, and on the wind side as well.

18 One of the reasons we're looking at this
19 is just looking at what our alternatives are. If
20 we are, in fact, have to compensate and deal with
21 the inverters and the way they're currently set
22 up, you're really looking at some very not

1 cost-effective solutions. It's going to require
2 us to basically bring synchronous generation on
3 that is fast responding, able to move. There is a
4 cost associated with that.

5 The more generation we bring on just to
6 sit there and spinning, the more we suppress
7 price, depress price. We've seen certain areas of
8 our footprint actually going into negative pricing
9 in some areas. And again, at the end of the day,
10 ultimately there's only so much you can do, and we
11 would end up having to limit what could actually
12 be supplied. That is not our goal. Our goal is
13 to be fuel agnostic, and obviously we want the
14 markets to ultimately decide how to produce the
15 energy.

16 So again, we really feel we can be
17 proactive getting ahead of this at this point.
18 Our understanding from talking to the
19 manufacturing is that this technology is already
20 there. It is already in the inverters. They are
21 fully capable to do that at least our level that
22 we're talking about, utility scale generation that

1 is talking about. But even at many of the
2 distribution levels, most of the manufacturing
3 basically tell us they have to dumb down their
4 devices, in fact, to comply with their current
5 flow. So again, we think there's a huge potential
6 there for us to do that.

7 So again, just to sort of summarize
8 this, again, we think this is something the
9 industry can get behind. We're looking at
10 actually how to value it. Now, one of the
11 interesting things for us is we do pay our
12 synchronous generators to provide reactive
13 support. Schedule 2 of our tariff actually allows
14 our generators to file their costs to provide
15 reactive support to the grid. We collect those
16 costs for the generators and refund that.

17 We want to look at very similar
18 mechanisms as well if there is a cost in this. If
19 there is a lost opportunity cost in this to
20 provide reactive power, can we find a way through
21 our markets to compensate for this? We're working
22 on some of that now.

1 Again, we believe we can substitute
2 speed for inertia. I agree with Steve, we're
3 seeing a very different fuel mix, and we know
4 that, and we can address that. And we're going to
5 deal with this at the transmission level. That is
6 sort of what is in our bailiwick. We do see that
7 this is really obviously at the distribution level
8 as well. We're working with many of our states to
9 see if we can't get them to adopt as well some of
10 these particular standards.

11 And with that, I look forward to
12 questions.

13 MR. GELLINGS: Thanks very much, Mike.
14 Carrie, wrap us up, please.

15 MS. HITT: Sure. First, thanks for
16 having me here today, and I have to say this is
17 probably the most refreshing panel I have been on
18 in all seriousness. I work obviously in the solar
19 industry, and typically it's all problems and
20 challenges and, you know, the undoing of the
21 utility industry. And it is good to hear that
22 there are people thinking about the solutions and

1 not just the challenges. So thanks for having me.
2 I really appreciate it.

3 First, just very quickly, SEIA is a
4 national trade association. We have about 800
5 members that represent the value stream of the
6 solar industry -- installers, manufacturers,
7 finance companies. And they're also all sizes, so
8 large companies, big companies. And finally, our
9 members work on residential, commercial, utility
10 scale systems, so really the whole gamut of the
11 industry.

12 I thought I'd just talk to you a little
13 bit about what really is happening. Obviously was
14 we've already heard and many of you have
15 experienced, or seen, or witnessed, solar
16 installations are growing dramatically across the
17 U.S., and they're growing for every sector --
18 utility, non- residential, and residential
19 systems. We still have concentrated solar power
20 coming online. I think there's some expectation
21 that that may change in the future, but right now
22 it is a significant contributor to the overall

1 system installations.

2 So right now in 2014, our estimates for
3 our last report, I think we're already at 1,900
4 megawatts of installs as of the end of April,
5 maybe early May.

6 Again, 20 gigawatts, lots of PV and some
7 CSP are expected to be online by 2016, so that
8 would be getting us up to around 13,000. So
9 significant growth expected to continue in the
10 next few years.

11 And then again, just showing the
12 variation across each of the sectors what's
13 happening with prices. I think someone referenced
14 this already, but this is our analysis on what's
15 going on with price systems both for residential,
16 commercial, and industrial systems. We're looking
17 at \$1.77 a watt right now for utility scale
18 systems.

19 Now, I should mention that some of these
20 will be slightly impacted by a trade case that's
21 going on if anyone is paying attention to that.
22 You may see a little bit of bump in terms of

1 hardware costs, but that's expected to go away
2 over time as solutions are worked through.

3 A couple of people talked about small
4 penetration, you know, a very limited number of
5 percentages of installation. And it is still a
6 very limited number of percentages of
7 installation. And it is still really a really
8 small slice of the pie in each of the states, and
9 this is just sample of how much you're looking
10 at. In, you know, a place like Arizona, it's
11 probably at about five percent of total
12 penetration right now. In Massachusetts where I
13 reside, while we've had significant growth, it's a
14 fairly small percentage of the overall
15 consumption. But, of course, as our previous
16 slides referenced, it's growing dramatically.

17 I thought I'd talk about California just
18 a little bit because we've referenced the duck
19 curve, and that is an example of some of the
20 challenges that are happening as we've had more
21 solar installed. So here's what see in
22 California. Historic installations and that is

1 driving down cost, and one begets the other, of
2 course. And we've seen dramatic declines in
3 costs.

4 And I know this is a little detailed,
5 but again, you just see the trends here in terms
6 of average prices in the number of installations
7 over time with the prices being kind of shown in
8 the orange and green, and the installations in
9 kind of the bar chart area. The forecasts again
10 for California is dramatic growth, getting to 55,
11 100 megawatts GC by the end of 2016. And I should
12 say, although this may not be as relevant for
13 California, I don't believe these forecast numbers
14 take into account any implications associated with
15 the EPA rules that are in process.

16 So the duck curve. People have
17 referenced a duck curve today and really what does
18 that mean? And I wanted to take my time today
19 just to talk about some of the solutions that are
20 being proposed for the duck curve. And I am going
21 to steal from RAP a lot today, so I apologize, but
22 they really have done some of the best work, so

1 I'm looking at Rich Cowart to mention that.

2 Yes. There is an issue in California in
3 terms of when solar is on, the ramping up period,
4 when demand peaks in California, and that's true
5 in a few other places as well or it could be true.
6 But I think even in the past six to nine months,
7 we've seen some good conversation about potential
8 solutions for that challenge.

9 First, I think upon further study, folks
10 realize that ramping issue is probably less severe
11 than the first analysis showed, although it's
12 still an issue; that flexible gas dispatches can
13 help that; regional cooperation, reference by a
14 few other folks can help smooth those ramping
15 issues. And ramps are, of course, 100 percent
16 predictable, which is helpful. So we can talk
17 about these things and come up with solutions for
18 them.

19 Here are some of the solutions. I'm
20 going to give you a bullet chart, which I think is
21 a little bit better, and I'll go back to that
22 after.

1 So as I said, I stole from RAP. The
2 Regulatory Assistance Project did a report on this
3 and a webinar I think maybe last month or the
4 month before. And they laid out 10 strategies for
5 mitigating the situation in California, and
6 they're pretty broad-based.

7 But first, target energy efficiency to
8 hours when the load ramps up sharply. And of
9 course California is one the leading states in
10 energy efficiency programs, or in fixed assets,
11 solar panels to the West. Substitute solar
12 thermal with a few hours' storage. Implement
13 service standards allowing a grid operator to
14 manage electric more effectively. Require large
15 air conditioners to include two hours of thermal
16 storage. Retire inflexible generating plants with
17 high off peak and must-run requirements.
18 Concentrate utility demand charges in the ramping
19 hours to enable price-induced changes in load.
20 Deploy electric energy storage in targeted
21 locations. Implement demand response programs,
22 and use inter-regional power transaction to take

1 advantage of adversity in road resources.

2 So those are the number of
3 recommendations that they put on the table. Of
4 course, these all have varying costs and, you
5 know, whether or not you can actually do them will
6 vary. But I think, A, they're applicable to
7 California, and, B, we can learn from those
8 lessons and those recommendations and take them
9 elsewhere.

10 The situation, while, you know, in
11 California similar things will happen in other
12 markets and other states.

13 We've also been talking about Texas in a
14 different way, which is Texas has some issues in
15 itself, and I just wanted to show you these
16 comparisons today. So Texas is talking about
17 resource adequacy and reliability, and they, I
18 think, most people will have growing load unlike
19 other markets in the country. They have water
20 resource issues, and potentially in the future
21 will need new generation certainly sooner than
22 some other markets.

1 And we're suggesting that solar is part
2 of that solution. Texas has a great solar
3 resource because of the radiation because of the
4 growing load. I don't want to say we're working
5 with ERCOT. We're recommending that ERCOT change
6 how it calculates capacity value to include solar
7 in that mix, that ERCOT should include utility
8 scale and distributed generation in its resource
9 planning. And we would argue this is applicable
10 to other markets as well. And that ERCOT should
11 establish future ancillary service requirements
12 that enable solar generation to participate in the
13 ancillary services market.

14 So, yes, I picked on Texas today and
15 California, but I'm doing that just to give you
16 some examples of some of the things that are
17 happening in real time, practical conversations
18 that are going on in addition to some of the
19 technology solutions that other speakers spoke
20 about.

21 I wanted to be brief today. I'll just
22 close by saying one thing. I know that prior

1 panel dipped into this a little bit. I
2 purposefully did not get into rate design and
3 rate-making challenges, which are, of course,
4 going on in nearly every state as it relates to
5 distributed generation. And I think we, at least,
6 at SEIA would share the view that looking at rate
7 design and how rates are structured is really
8 critical to the future, not just because of what's
9 going on with solar DG, but what is going to
10 happen with electric vehicles. What is that next
11 appliance that's coming on?

12 There's always something coming, and we
13 need to start thinking about changes and making
14 not only our grid more flexible from a technology
15 standpoint, but thinking about rate design, not
16 only how it can accommodate these resources, but
17 really making sure that cost sharing and benefit
18 sharing is equitable across all rate pairs. So
19 thank you.

20 MR. GELLINGS: You're welcome. Very
21 helpful contribution. Rich, can we take 30
22 minutes?

1 CHAIRMAN COWART: Yes.

2 MR. GELLINGS: Okay. All right.

3 Merwin, I cut you off before. Go ahead.

4 MR. BROWN: I'm broadening my question.

5 That's your penalty for cutting me off.

6 As I listen to what's being said here
7 and what was said earlier, an old issue comes
8 back, and that is, is the grid there primarily for
9 societal purposes, or is it there to enhance
10 market transactions? And when I also hear the
11 talk about, rather glibly, that we need certain
12 rates or we're going to use instead markets to
13 determine things, we end up with what we have
14 today, which is a hybrid of both.

15 And I sort of feel like it's trying to
16 balance a marble on a bowling ball because it's
17 going to roll one way or the other. I don't think
18 it's going to stay there, but maybe I'm wrong.

19 And so, with that in mind, are there any
20 thoughts from the panel of how this sort of deep
21 societal aspect of the grid is going to play into
22 all of this? Are we going to have to go one way

1 or the other, are we going to continue with this
2 hybrid approach? Should we even worry about it?

3 MR. LARSON: From the West where we have
4 only one organized market, we're going to end up
5 with a hybrid approach as far as the eye can see.
6 And I think we have an example in California where
7 there's a reluctance to go to a capacity market
8 because California has specific not fuel neutral
9 goals. They're very fuel discriminating goals.
10 And they really aren't anxious to turn that over
11 to FERC to a fuel-neutral party that might screw
12 up their energy policy.

13 MS. HITT: Speaking for myself, I do not
14 do a disclaimer, but I think the grid is used now
15 for many purposes. It is to promote certain
16 policy initiatives at the state level in some
17 ways, and we may all see that even more so in the
18 next coming years with new environmental
19 regulations.

20 I think the other change, although I've
21 seen it before, but it seems more real this time,
22 is that customers are -- not every customer,

1 certainly not every rate payer is more engaged at
2 this point. But that's not, you know, I would
3 never argue that at this point. But we are
4 seeing, you know, customers actually want things
5 and want things that are different that do utilize
6 a grid. And, yeah, maybe they're assuming it's
7 going to be there, and that's not the best
8 assumption, that they're taking it for granted.
9 But they're going to assume that they can use it
10 and, you know, tap into it. And, you know, maybe
11 they'll have to pay costs for that, and that's
12 okay.

13 But I think that's a big change than
14 maybe where we were 20 years ago.

15 MR. GELLINGS: Thank you. Dr. Heyeck?

16 MR. HEYECK: Yes, mike Heyeck. I
17 affectionately call him Dr. Gellings because I'm
18 not as worthy as he is for that title.

19 Photovoltaics has really been a game
20 changer, and I think many of you spoke about that.
21 And I truly believe that that will be the mainstay
22 of the game-changing element in the next 30 years.

1 But what's going to make it much more powerful is
2 storage, and storage is a way to deal with the
3 load curve. We have a lot of opportunity in the
4 grid today given the load duration curve. It's
5 still a phenomenon that we don't enjoy the
6 benefits of. We have that 60 percent load curve.
7 I think we could use photovoltaics and energy
8 storage very well.

9 Modular nuclear may be an option in the
10 future. Who knows? I think, Mike, you said this
11 about gas. Reliance too much on gas is going to
12 be an issue, so we do need some other sources.

13 The bottom line for me is the resilience
14 of the grid will be the diversity of the sources
15 we use whether it's distributed or central,
16 whether it's gas or photovoltaics or whatnot. I
17 believe that the diversity of the resources gives
18 us many more options should one of those elements
19 fail. And I think that that is something that the
20 QER ought to consider in its strategic outlook.

21 MR. GELLINGS: Is there a question in
22 there for the panel?

1 MR. HEYECK: Yes. The other side of
2 this is the customer, and I would like to
3 understand how the customer would view their
4 electricity usage 30 years from now. Certainly we
5 know the Wal-marts and the industrials, but the
6 residential customer, who's going to manage their
7 photovoltaics, their storage, their elements for
8 energy usage?

9 And I'd like to get just a customer
10 perspective rather than the technology perspective
11 from whoever wants to answer on that.

12 MR. GELLINGS: Mike, are you going to
13 answer that one?

14 MR. KORMOS: Yes, I'll give you an
15 answer. I don't necessarily have a good one.
16 But, I mean, I think if you look at the next
17 generation, they're so much more technically savvy
18 than we are. Their expectations of having that
19 control I think is just going to be significantly
20 better. So I do think fundamentally a lot of
21 times we make the mistake. We're looking at our
22 generation and what we want as a customer. And

1 you're right, in some cases we want hands off. I
2 don't think that's the next generation. I think
3 they are much more comfortable with technology,
4 and not even comfortable. It is an expectation
5 for them that they will have that, and with that
6 technology gives them the control.

7 And I do think another question, you
8 know, they'll want to choose how they want to
9 interact. I think, you know, that is going to be
10 a fact coming up. I realize it's not today, but I
11 really think, and I'm not an expert in this, but
12 we've talked to some people really trying to look
13 at what the customer's desires are going to be 30
14 years now. I think it's fascinating because the
15 next generation is going to be very different than
16 us.

17 MR. GELLINGS: My old cell mate, Mark
18 Lauby.

19 MR. LAUBY:: Thank you. I just wanted
20 to mention that NERC has recognized this issue
21 when we do our long-term reliability assessments.
22 And recently released a tutorial for policymakers

1 and rule makers on what we call essential
2 reliability services. And there are really six of
3 them, and they include operating reserve,
4 frequency response, active capability, active
5 power control, reactive power and voltage control,
6 and disturbance performance.

7 The take-aways from the tutorial really
8 are that not all megawatts are created equal. It
9 used to be they would have a certain reserve
10 margin, and we would get inertia. We would get,
11 you know, frequency response. It would all come
12 in with that reserve margin, and that is not the
13 case anymore obviously because one megawatt is not
14 the same as the other.

15 So, you know, we want to start thinking
16 about, well, how do we measure the kind of
17 flexibility one wants in the system so that we can
18 actually get to the second take- away, which is
19 the physics so the systems remain pretty much
20 constant, you know, that you need to have voltage
21 and frequency and load resource balancing. And,
22 you know, you require these essential services to

1 do that.

2 And then finally, of course, this
3 changing resource mix, we have to keep this in the
4 forefront of our minds so that we design systems
5 that can accommodate the large amounts of this
6 kind of technology and resources and still remain
7 reliable.

8 So we have an ongoing effort and
9 interested in the perspective, especially from PGM
10 as you see more and more of these different types
11 of resources coming on your system. Have you
12 designed some measures for the kind of flexibility
13 that you want in your system, and how are you
14 planning that in your system?

15 MR. KORMOS: Well, if I could give you
16 short-term answers and long-term answers. I mean,
17 short term we are taking a hard look at things in
18 our capacity market, performance standards that we
19 want. We're looking at gas interoperability.
20 We're looking our reserves. We're looking at some
21 of the ramping issues with an overlapping
22 30-minute reserve product potentially. There's a

1 lot of short-term answers.

2 I think long-term -- I'm going to sound
3 like a broken record -- I go back to technology.
4 All this becomes moot if we had storage. Then
5 everything goes back to megawatts. I had a great
6 conversation with Chris Shelton a couple of weeks
7 ago. We talked about could the power grid ever
8 get to be the internet. Can you ever develop
9 enough storage and enough power electronics that
10 you create the power rather of the future?

11 I would go back to the public service
12 because the internet probably provides as much
13 public service as the electric grid. Yet nobody
14 manages it. Nobody has to go through an
15 interconnection process if you want to put a data
16 center on it. But a lot of this on the storage
17 and the technology side that allows that grid to
18 operate fundamentally different than ours.

19 So I think long term, I think technology
20 may give us a dramatically different answer, but
21 to your point, short term, everything you just
22 talked about we're looking at.

1 MR. GELLINGS: Thank you, Mike. Do you
2 want to add something, Steve? Go ahead.

3 MR. BEUNING: Yes. I just wanted to add
4 onto that because we may reach that point sooner
5 than Mike thinks or maybe you did think about it.
6 But we're approaching 30 percent annual energy
7 supply for our customers from renewable energy
8 sources by around 2020. What we're seeing is at
9 that level of annual energy supply, we might have
10 a peak hourly penetration of renewables around 60
11 percent of our total retail demand in a given
12 operating hour.

13 And that sounds high, but if you think
14 of the way the future might roll out if folks
15 decided to go away from carbon all together, for
16 example, or something. You had, say, a 50 to 80
17 percent annual energy expectation from renewable
18 resources, you're going to have many hours a year
19 where your demand is the dispatchable element, and
20 you're going to be curtailed on your supply side
21 waiting to ramp up latent supply as demand can
22 consume it.

1 So, you know, the negative prices that
2 we see today that get driven by situations where
3 dispatchable units can't be de-committed, for
4 example. I think there will be a period of time
5 before storage comes to the solution where we'll
6 see the need for demand on demand, and we'll start
7 creating price signals for the development of
8 storage technologies or something like that.

9 MR. GELLINGS: Thank you. Richard?

10 CHAIRMAN COWART: Well, first, thanks to
11 the panel for the really in-depth observations
12 about all these problems. As some of you know, I
13 work predominantly in Europe these days, and we're
14 having the same conversations in Europe as are
15 being had in this room. And there is -- can I be
16 heard? Is this okay? With one difference. Most
17 of the conversations in Europe would begin with
18 the observation that environmental sustainability
19 is a goal and a given, and that the rest of this
20 conversation is about how do we achieve that.

21 And I've been intrigued to observe the
22 various presentations and conversations that don't

1 begin with that as a premise. It's sort of to
2 say, well, sustainability is one of our goals, or
3 it's an objective to be obtained if we can get the
4 pricing right or something like that. Just making
5 the observation that I think a decade from now if
6 we were having this conversation, the U.S.
7 conversation would be a lot more like today's
8 European conversation.

9 And to that end, I guess I would
10 observe, and thanks, Carrie, for talking about the
11 duck curve. There are really good answers with
12 respect to the duck curve involving all the things
13 we know about demand response, et cetera, et
14 cetera, et cetera, that we've learned over the
15 decades. And so, I think that, yes, it's a
16 problem, and, yes, they can be answered.

17 And I'm going to close with a question
18 about the proper allocation of costs because it's
19 really interesting. I'm a former regulator. I'm
20 a total believer in the proper allocation of
21 costs. I'm also a believer in the proper
22 allocation of benefits and paying for value. And

1 so, it seems to me that this is a bi-directional
2 problem. This isn't just a question of how much
3 should customers pay utilities for providing any
4 number of grid-provided service, but also how much
5 is the customer's demand response activity or
6 distributed generation worth to the grid? And it
7 seems to me like we're going to have to evolve a
8 bi-directional rate design and not just think
9 about it as a one-way street.

10 So my question to the panel is, do you
11 agree with that?

12 MS. HITT: Well, yes. I guess I would
13 just say that, yes. I mean, that's one of the
14 things that we saw early on in this debate which
15 wasn't even that long ago, but now seems a long
16 time ago, was that there was a lot of rhetoric and
17 kind of people got exercised over this issue, was
18 that the proposals that were coming out of some
19 utilities or kind of others were just looking at
20 what they saw as costs.

21 And so, you know, our response to that
22 has been for the past year to say, sure, there may

1 well be costs, but there are also benefits that
2 both the grid and other rate payers are receiving.
3 And so, a real look at all those component parts
4 is absolutely necessary, and also it's not just a
5 solar DG issue now. There are other things
6 happening on the grid at that level that changed
7 the cost benefit analysis.

8 So looking at it through lenses, and
9 that's putting it simply because I know it's
10 complicated is probably the most important thing
11 we can do.

12 MR. GELLINGS: Thank you. Rich, I can't
13 help it. Your comment leads me to say it's an
14 engineering problem, and I'm an engineer. We can
15 solve this. Did you want to add something?

16 MR. LARSON: Just one response. There
17 is a limit to how much utilities can charge, and
18 that's when it becomes economic to leave the grid.
19 So Steve at some point may buy the battery and
20 leave the grid.

21 MR. BEUNING: Yes. My escape fantasy
22 may be realized, huh? I just think, too, that

1 when we talk about benefits, there's two parts to
2 the benefits that we're talking about. I mean,
3 there's the energy production and consumption side
4 benefits -- you know, do I burn fuel or do I
5 generate from PV? If there's a regional market
6 that's providing that for me and I'm not satisfied
7 with the costs on that part of my allocation of
8 costs and benefits, I can go self-invest in
9 something.

10 Where I have less flexibility is with
11 respect to the grid and the backup services the
12 T&D provide. And what we tend to see there are a
13 regional type policy that deems benefits to have
14 been provided. And personally as a customer
15 subject to regional transmission cost allocation,
16 I have some concerns with the early stages that
17 we're at right now, the use of adjusted production
18 costs, for example, to infer absolute benefits to
19 me may not be realistic.

20 I might've been 90 percent of the
21 generation in an area that had an adjusted
22 production cost benefit calculated, and I may have

1 there parallels to those proposed changes to our
2 industry? Now, I'm not a telecom person by any
3 means, but as I understand it, should we be
4 looking at ways you're going to pay a premium for
5 highest reliability. You willingly pay less for
6 less reliability.

7 I think one of the concerns certainly
8 about the cost allocation and cost transfer is
9 that concern about being the backstop and the
10 default. But if that's not there, then maybe
11 there are ways to allocate those costs differently
12 so that, you know, that people who willingly do
13 not want to have to rely on the backstop of the
14 grid won't have it available.

15 MR. GELLINGS: Red, blue, and green
16 kilowatt hours.

17 MS. HITT: I think, yes, maybe there's a
18 way to think about it that way. The challenge,
19 which you're all probably much more familiar with
20 than I am given what I do, is simply the
21 association that we have with the electricity
22 service with not our livelihood, but our lives, I

1 guess I would say. So, you know, in many cases,
2 having access to your phone and to the internet is
3 critical now, much more so than five years ago, at
4 least for internet service.

5 But electricity is viewed slightly
6 differently, so it's hard to get from this point
7 to that point without something in between, I
8 guess, and that's the challenging part I would say
9 is people want to cling onto that.

10 MR. GELLINGS: Steve?

11 MR. BEUNING: Yes. Well, if my comment
12 was inferred as not having respect for the T&D,
13 please amend that accordingly. But, you know, to
14 some extent what you're talking about what in the
15 proposal that we just saw from PNNL for example.
16 If you have demand that's price responsive, it's
17 making a choice at some level with respect to that
18 decision to participate or not.

19 On the generation side of the equation,
20 today a generator in a regional wholesale market
21 can simply elect interconnection service and bet
22 at a subordinated delivery priority to other firm

1 uses on the grid. It's an operational problem to
2 administer curtailments in a large regional market
3 and to track that prioritization of use.

4 And what we're seeing in markets like
5 MISO and SPP where there's currently a dispute
6 about how much impact one can have on the other,
7 even at that level of coordination, operationally
8 it's complex and difficult. And if we extend that
9 to a million retail customers, each with a
10 different level of assurance payment that it's
11 making for backstop capability, I think it becomes
12 an operational difficulty. I'm not saying it's
13 impossible.

14 MR. GELLINGS: Thank you, Steve. Tom?

15 MR. SLOAN: Tom Sloan, and thank you.
16 Two things. One, each of you qualified your
17 statements as that you're not speaking for your
18 organization but as individuals. Because I assume
19 most of you don't know another state legislator in
20 this country, I am speaking for all 5,000 of them.

21 Seriously, I'm going back to what Ron
22 Melton was talking about when he set sort of the

1 stage for this panel, and from the decision maker
2 perspective. He and the GWAC folks are trying to
3 set the framework to describe what each of you
4 talked about in your own segments. And so, I
5 would want to encourage you to look at the model,
6 look at your daily activities, and see whether the
7 model is kind of capturing it on the large level.
8 The same thing for the EAC members.

9 But within that context, keep in mind
10 that the regulatory community and the
11 policymakers, whether they're governors, or
12 legislators, or whatnot, can get easily confused
13 if you're all using different words, or different
14 pictures, or different whatever to describe
15 transactions and relationships. So whether the
16 GWACT model is the answer or not, try and work
17 toward reaching a consensus. That way, the
18 Department can frame its activities in a way that
19 utilities, RTOISOs, legislators, you know, all
20 God's children can understand, follow, and move
21 forward. Thank you.

22 MR. GELLINGS: I didn't hear a question

1 in there, so I'll go on. Carl?

2 MR. ZICHELLA: Since Tom's speaking for
3 all God's children, I guess I'll speak for an
4 environmentalists here. Seriously, I think, first
5 of all, this has been a fabulous panel. Thank you
6 all so much. I think that a lot of what we've
7 been talking about and thinking about, you've
8 given us a good perspective on, and in some ways
9 underscored some things and shook us up on some
10 others. Doug.

11 But a couple of things I thought were
12 really important to me when you look at these
13 balance portfolios that we were talking about
14 earlier, and Carrie put up the RAPs, 10 ways to
15 make the duck fly issues. You know, a couple of
16 these things around regional coordination and
17 generation stack, we're in danger of losing some
18 of the generation options to us, like
19 concentrating solar power, which was mentioned,
20 where we have a technology that buys you time in
21 the evening ramps. And if you combine that with
22 some thermal storage, you actually operate a lot

1 more like any other power plant at all.

2 And because we're not pricing the
3 technology for its values to the system, we're
4 really making it difficult for these projects to
5 get financing, to have the room to remain in the
6 generation stack. I just was at their annual
7 conference in Las Vegas. This was a big topic
8 there about how to have these services, these grid
9 services in addition to the energy be recognized.

10 I believe NREL just did a study that
11 implied that there's about a four cents a kilowatt
12 hour benefit to CSP that is not being captured in
13 the pricing for the technology. California Public
14 Utilities Commission has actually approved a
15 couple of power purchase agreements that were
16 above what you would pay for a PV, for example, to
17 capture some of these benefits.

18 But I wanted to throw it out there. I
19 thought the point that Richard made about the
20 allocation of benefits and value, benefits cost,
21 but value, and capturing that is really important,
22 just as it is in the demand side management market

1 as well.

2 But as we look at the characteristics
3 and attributes of these various renewable energy
4 technologies and their ability to complement each
5 other, we need to do a better job at valuing that.

6 The improvements in the operations and
7 wind turbines and ability to product reactive
8 power, for example, another good example of that
9 where it may not be fully recognizing those
10 benefits. And, of course, the geographic
11 diversity of that that Steve talked about. And
12 the ability to just utilize those characteristics
13 and generation profiles.

14 So it's not really a question. It's
15 just a comment and a thank you to the panel.

16 MR. GELLINGS: Since there's not a
17 question, I'm going to go onto the last two.
18 There will be no more. Marilyn first and then
19 Wanda. Marilyn?

20 MS. BROWN: Okay. Richard, I wanted to
21 thank you for your fresh perspective from your
22 European experience about the importance of

1 environmental issues going forward. Being so
2 dumb, I'm kind of surprised that we haven't talked
3 about the 111(d) yet today, and where that's going
4 to take us.

5 And for Doug I have a question about
6 don't you think that it might be breathe new life
7 into the nuclear renaissance in this country which
8 could meet some of your conditions for
9 resuscitating the grid. Let me keep going for
10 just a minute because I've got another question,
11 too. You're saying resuscitate central plant
12 generation. Maybe nuclear will be what does that
13 to some extent.

14 And then on demand and response, we
15 haven't had much discussion of its environmental
16 attributes. What is the value of nuclear in this
17 new world of CO2 constraint? What's the value of
18 demand response in this new world?

19 Now, in and of itself I like to think of
20 demand and response as being something like a
21 carbon neutral safety net. In most cases it
22 doesn't have a big differential either way. But,

1 in fact, it's an enabler of renewables, maybe
2 somehow it ought to be given some extra value, and
3 it's the value of DR. But I'm perplexed because
4 you mentioned that for PJM, DR is shrinking or not
5 done real in the past couple of years. I mean,
6 Terry Boston was telling me a few years ago about
7 that big water heater load that's being tapped
8 into, I don't know, bigger water or something.

9 But then I hear out in California or the
10 Western interconnector, I'm not sure what the area
11 of coverage was. There's a five-gigawatt economic
12 potential for demand and response. So what's
13 going on with demand and response? Why is it
14 shrinking in PJM? And could it play an important
15 role in helping to enable cleaner resources? So
16 that's for Mike. And, Carrie, you might want to
17 chip in as well.

18 MR. GELLINGS: Gee, Marilyn. You're
19 getting mean here. All right. Brief answers,
20 please.

21 MR. LARSON: Nuclear option in the West.
22 We in the West are blessed with lots of other

1 options, renewable options, so we're thankful for
2 the guys in Georgia who are willing to experiment
3 with the next generation and pay for it. And if
4 it works, we'll be back. Our major challenge is
5 actually keeping the current plants operating. We
6 just lost San Onofre.

7 MS. BROWN: But that's from a California
8 perspective anyway.

9 MR. KORMOS: On the demand side, this
10 probably goes back to the last couple of speakers,
11 I think our biggest struggle is to figure out what
12 are the services we are trying to provide, who is
13 providing them, and who is consuming them. And
14 right now we mix them up a lot. And I think that
15 gives us very unfortunate consequences, and demand
16 side has been a classic one.

17 It should be on the demand side of the
18 equation. You should get the value by not
19 consuming and not having to pay for it. But
20 because of all the public good and the great good,
21 we've moved it to the supply side, and it just has
22 come with a host of issues as how to measure it

1 and how to verify it, how to accommodate it, how
2 much you can. I think for the industry to move
3 forward, we have to push it back to the demand
4 side.

5 The value is there, I don't disagree,
6 and we have to get the pricing of the products
7 right so people see the value from the savings
8 they get and what they don't have to pay for
9 rather than trying to continue to treat it as this
10 pseudo supply option.

11 So and we have a court order that may,
12 in fact, force us there. Again, we don't have the
13 answers at this point, but we have a court order
14 that may push us back there.

15 Why demand sort of tailed off a little
16 bit? I actually think that was just very natural.
17 We went from 2,000 megawatts to close to 17,000
18 bidding in our market within three years. There
19 may have been some natural exuberance there. As
20 people started to realize the challenges of
21 actually getting that, we've seen a little bit of
22 a decline.

1 MR. GELLINGS: Wanda, last point.

2 MS. REDER: Yes. With IEEE, I'm
3 interested in standards. And my simple question
4 is where are the gaps? There's been some
5 references in terms of metrics. Diversity might
6 be resilience, language. There's all kinds of
7 innuendos around the standards theme.

8 I'm wondering from your perspective
9 where the gaps were, the challenges on the
10 standards front.

11 MR. BEUNING: Well, 1547 has been
12 mentioned. To me, that's the bull in the China
13 shop right now. I mean, I don't know if it's
14 completely, but opposite standards at the bulk
15 level versus the distributed.

16 I think there are other issues, too,
17 with respect to efficiency of utility operations
18 that are at least high on my personal radar. The
19 BAL standard, for example, which relaxes the
20 degree of balancing control that utilities
21 provide, which historically was set primarily to
22 enforce equity with respect to unintended energy

1 transactions between utilities that were each
2 supposed to take care of their own obligations,
3 and has been preserved, you know, in the old A1
4 and A2 criteria that got preserved into what is
5 now CPS 1 and 2 standards, an attempt of keeping
6 unintended transactions limited.

7 The new replacement standard would allow
8 a great more latitude for utilities to only incur
9 balancing costs when it was necessary for the sake
10 of reliability. And this has been, what, eight
11 years in the field trial so far? And we just
12 can't get the critical speed to get over the speed
13 bump. So that's been my person axe to grind. I
14 think there are some others with respect to the
15 frequency response, for example, and the
16 challenges of increasing inverter connected
17 generation, the impact that might have on
18 frequency response are kind of big on my radar.

19 MR. GELLINGS: Throw some mundane stuff
20 in there like IAC 61850, and we still don't have
21 the communications to sort it out yet, but
22 whatever. Can we thank this panel for an

1 excellent contribution?

2 (Applause)

3 MR. GELLINGS: Mr. Chairman?

4 CHAIRMAN COWART: Thank you, Clark.

5 We've now got just a few minutes. We'll take a
6 break around the top of the hour. We have a few
7 minutes for discussing the Power Delivery
8 Subcommittee papers and work plan. I apologize.
9 We can take the break now. We'll back in 15
10 minutes. That's five after the hour.

11 (Recess)

12 CHAIRMAN COWART: I know we're having
13 fun, and yet we need to reconvene.

14 So our next item is a discussion of the
15 Power Delivery Subcommittee's upcoming events and
16 work plan. And David Till is going to lead us
17 through that.

18 MR. TILL: Thank you, Richard. I hope
19 you enjoy the Power Delivery white papers and work
20 plan because you've been participating in it for
21 the last little while in the meeting here. We
22 decided to have the panel, at least the first

1 panel, on the 21st Century Grid prior to drafting
2 the white paper. And there are only two things on
3 the work plan for the Power Delivery Subcommittee
4 for this year. The first is to work with Wanda
5 Reder's smart grid team on an R&D paper, and Billy
6 Ball and Clark Gellings have been doing a good bit
7 of work in drafting that. And we've been
8 providing what comments that we could because
9 there just wasn't anything we disagreed with. And
10 then the 21st Century Grid white paper.

11 And you've got an outline in your
12 materials. The basic outline is background on the
13 need for modernization and expansion assessing
14 need, build new transmission or enhance capacity
15 on the existing system, and then recommendations
16 for DoE. And it's very important.

17 I don't believe that we're going to have
18 a hard time drafting the white paper. We've got
19 some really smart people drafting the white paper,
20 and we can get a white paper in place. But
21 driving to recommendations on the right research
22 for DoE is going to be a challenge to get by our

1 doesn't mean a thing for me. We applied this
2 device to mitigate voltage collapse. And I don't
3 care if it's working any other time than when
4 voltage collapse is threatened. And as I drove
5 the people working under me to learn more about
6 this because I wasn't bright enough to, and to
7 distill this for me, we came to an interesting
8 conclusion. And that conclusion was our device
9 would never work.

10 And the reason it would never work was
11 not the high tech of valve hall and all of the
12 sexy electronics. It was the station service.
13 This was the first device we had ever applied in
14 one of our substations that didn't work off
15 battery when the lights went out. And the station
16 service to this device was inadequate.

17 When the transformer failed that set up
18 the threat of voltage collapse, it took away the
19 primary station service. Secondary station
20 service depended on the very bus that the device
21 was supporting. Was it fast enough to save
22 itself? It was as fast as greased lightning, but

1 it wasn't that fast.

2 And so, then began an attempt to educate
3 the industry because there one of these in Korea.
4 They were all over the place in the United States.
5 Ours was the first. By the time we figured this
6 out, they had proliferated. And not only was it
7 that technology, but it was going back to the SVCs
8 before it. We didn't have one, but others did.

9 So was that a failure? No. That was
10 the second most educational experience I've ever
11 had. And as far as I'm concerned, it was worth
12 the tailored collaboration money to get me that
13 experience. The first most educational experience
14 I had a VP tell me cost \$321 million. The first
15 corrected is math, and then I said thank you,
16 though.

17 So what we're driving for is not just
18 the excellent discussion that we're having here,
19 but it's to in a direction with the R&D that we
20 all support with the trust in each other that if
21 we've gone in the wrong direction, we're all going
22 to change direction together, or we're going to

1 learn from whatever success or whatever failure
2 that we have as an intermediate failure.

3 So that being said, I thought it was an
4 excellent panel, and I really appreciate Clark's
5 moderating it. I appreciate the work of Carl
6 Zichella and the Power Delivery Subcommittee in
7 putting together the outline that's in your
8 package. The outline somewhat invites you into
9 our kitchen. This is a more family-oriented
10 outline in that we've included elements of our
11 discussion so that you know a little bit of what's
12 going on in addition to just what the outline is,
13 and that's a good thing.

14 So in a moment, I'll open the floor for
15 your comments on that. But I just want to say
16 that we're all going to skip tomorrow so we can
17 write on our paper. No.

18 We have a challenge to not just get it
19 written, but get the right content in it by
20 September. And I haven't heard this yet. This
21 may be going on in the background and I know about
22 it. But for the new members of the Electricity

1 Advisory Committee, when you select your
2 subcommittees, please keep the Power Delivery
3 Subcommittee in mind. We have fun stuff.

4 So with that, that's all I have to
5 report except to answer questions.

6 CHAIRMAN COWART: Granger?

7 MR. MORGAN: Thanks. That was nice.
8 When I look at the outline, in the first section
9 there's talk about 111(d) and what it'll do.
10 There's talk about renewables. There's talk about
11 low cost gas. There's nothing on nuclear, and I
12 understand that low-cost gas makes nuclear even
13 more difficult. And we're retiring single nuclear
14 plants in part because of low-cost gas.

15 On the other hand, if I look a few years
16 or a decade out, one, I'm going to be trying to
17 reduce the carbon intensity of the whole economy
18 by 80 percent or so. I'd probably want to
19 continue to have some of those nuke plants around.

20 So I don't know if it's appropriate to
21 include some discussion of the tension between,
22 you know, this wonderful benefit of low-cost gas

1 and the fact that in slightly longer term, it puts
2 a real stress not -- I mean, we have a few nuke
3 plants being built, but they're invertically
4 integrated utilities, and that's not clear to me
5 that in any merchant market anybody is going to
6 build nuclear.

7 And the facilities that have more than
8 one plant look a little more healthy than the
9 single plants, but we're losing them.

10 MR. TILL: Okay. That's a good comment.
11 Thank you. Appreciate it, Granger.

12 MS. BROWN: We're losing them, but they
13 do have another perhaps 20-year life expectancy
14 some of them.

15 MR. BROWN: But some of the ones we're
16 losing have life expectancy.

17 MR. TILL: Did you catch those comments?
18 Good. I missed it, but that's not important.
19 Merwin, is that your pen or it's Marilyn's?

20 MR. LAUBY:: I agree with you. In fact,
21 when we looked at his, we looked out to 2050, and
22 we looked at the 80 percent. Unless you have

1 carbon capture and sequestration, you can't get
2 there with gas. And, in fact, gas, of course,
3 it's a messy business when that thing gets in the
4 air. It's also a more potent climate change
5 issue.

6 So definitely nuclear is the only thing
7 that can really be in the mix.

8 MR. TILL: Okay. Mike?

9 MR. HEYECK: I just wanted to emphasize
10 a comment that's included in the outline. There's
11 been a lot of discussion today, and I'd say
12 probably 90 percent of it is are discussions about
13 distribution, distributed resources.

14 When I started six years ago, it was all
15 about transmission, and distribution was kind of
16 the stepchild. Now it's the other way around. I
17 just want to emphasize that when we started this
18 paper, we were trying to get to that rational
19 middle of no regrets. Whether it's include
20 nuclear or what not, we're going to have wind
21 farms. We're going to have offshore wind.
22 Transmissions are going to be needed. So the

1 emphasis in the paper is not just distribution,
2 but also transmission for the grid of the 21st
3 century. And I'd say somewhere around 2050 is
4 probably what we're talking about. I'm not sure
5 we can envision 2100.

6 Again, I just wanted to emphasize. I
7 won't be here to opine in the next meeting. I
8 just want to make sure that we still continue to
9 learn how to spell "transmission" and figure out
10 the challenges and impediments and the
11 opportunities with that.

12 MR. TILL: Thank you. Should I quit
13 doing your job, Rich? I'm sorry.

14 CHAIRMAN COWART: No, you've been doing
15 it just fine. There's one card up, so I'll take
16 care of it. Oh, there are two cards up now. But,
17 Merwin, you're first.

18 MR. BROWN: Thank you. Merwin Brown,
19 CIEE. I had a number of comments on your outline.
20 I had a lot of hours on a plane to read it and
21 mark it up. But I had kind of three broad
22 comments to make right here. One of them here, I

1 was confused in reading the outline in the sense
2 that it seemed to be substituting or jumping back
3 and forth among the words "reliability,"
4 "flexibility," "resiliency," and "security." And
5 so, I didn't feel they were very clearly described
6 in here, and they seemed to have mixed use
7 throughout the document. Maybe I don't understand
8 it, but I thought at least there was one person
9 that was confused.

10 Another item is a suggestion and
11 addition in the area of the outline where you talk
12 about increasing the benefits of rights-of-ways
13 and getting more value out of them. You talk
14 about re-conducting and reconstruction. I would
15 suggest also various forms of technology use for
16 reducing the constraints from thermal constraints
17 and dynamic instabilities because that eats up a
18 lot of capacity, I know, in the West.

19 And then the third comment has to do
20 with the replacement of inflexible gas generation
21 with more efficient and fast ramping technologies.
22 You focused on gas. I don't know that you

1 mentioned storage as being a fast-acting flexible
2 thing, and it seems to me since I represent the
3 Subcommittee on Storage, that that should be in
4 there somewhere.

5 MR. TILL: Thank you.

6 CHAIRMAN COWART: Granger?

7 MR. MORGAN: Yes, sorry. I forgot one
8 other comment. If you listen to people like Rick
9 Denonker, who runs the E. On Research Center in
10 Aachen, I mean, he's a believer that DC is just
11 going to promulgate all through the distribution
12 and transmission systems. I'm not sure I believe
13 it, but at the same time, I guess there's maybe a
14 little more discussion of if DC and, in
15 particular, you know, DC transformers with --
16 well, of course, they're AC in the middle --
17 become significantly more affordable, one might
18 want to consider a little discussion of that as
19 well.

20 CHAIRMAN COWART: Thank you, Granger.
21 Carl?

22 MR. ZICHELLA: Great comments. I just

1 wanted to bat the ball around the yard before you
2 get a little too -- I was just concerned about the
3 ideas around nuclear mainly because I don't think
4 we fully look at the life cycle costs of that
5 resource. We are talking a lot about new
6 technologies and modular technologies. And even
7 as we're decommissioning the existing fleet that
8 is beginning to phase out of the system, slowly
9 albeit, but it's happening. We have \$4 billion
10 set aside in California for decommissioning. It's
11 not going to come close to covering the costs of
12 doing that.

13 The Humboldt Bay nuclear power plant,
14 which is 63 megawatts, is forecast to cost \$1.02
15 billion to decommission. You know, we may only
16 see vertically- integrated utilities going there,
17 but that's part of the reason, you know, we're
18 getting construction and progress for some of
19 these facilities without which they wouldn't be
20 built.

21 I know it's part of the President's
22 plan. I know it's in there. We have to consider

1 it, and we need to have it in this document as
2 well. So I'm just giving you my personal take on
3 let's be realistic about what we're going to get.
4 We may see the life extensions of many of the
5 plants happen, but a lot of these technologies
6 were not intended to last 60 years to begin with.
7 The idea that their design life would extend that
8 long without major overhauls, steam generators,
9 reactor vessel heads, et cetera, et cetera, et
10 cetera, pretty soon you're talking about complete
11 reconstruction of a lot of these facilities. And
12 that's not even touching upon the decommissioning
13 of them as well.

14 So, yes, let's consider it. It needs to
15 be in the mix. It's part of the President's plan.
16 It is part of the landscape right now. We may see
17 modular reactors. But, you know, when I look
18 ahead, I also think the back end of the fuel
19 cycle, too.

20 CHAIRMAN COWART: Mike?

21 MR. HEYECK: I just wanted to add to
22 Carl's comment and Granger's. First, Carl. I

1 think there's got to be discontinuity. If we
2 extrapolate the nuclear paradigm today, you're
3 spot on. The issue is whether the traveling wave
4 reactor or some modular element comes to fruition
5 that would offer much lower life cycle costs.
6 Don't know that. If we did know that, we'd have
7 them out in the system.

8 And regarding HVDC, you're spot on,
9 Granger. The voltage source converter technology
10 that's come to fruition to offer much better
11 undergrounding, especially in urban areas, will be
12 very useful for transmission. A lot of times when
13 we look at the transmission technology list, we
14 see dynamic line monitors and PMUs. They're okay,
15 but advanced conductor voltage source converters
16 and other factors add to the transmission
17 technology list. So I appreciate the comments.

18 CHAIRMAN COWART: Granger?

19 MR. MORGAN: So just one final comment
20 on the nuclear issue. First, yes, you're
21 absolutely right. There are a lot of costs.
22 Second, on small modular reactors, I would not

1 hold my breath. I've published a piece in the
2 Proceedings of the National Academy about a year
3 ago that suggests that like water, small modular
4 reactors, which are the first ones that'll come
5 along, are just not going to be anywhere close to
6 being cost competitive.

7 At the same time, I run a center called
8 the Center for Climate and Energy Decision Making.
9 I don't know how to get to an 80 or 90 percent
10 reduction in CO2 emissions across the entire
11 energy system without essentially a portfolio of
12 everything we've got. And that's why I argue that
13 though we all know the downsides and the hidden
14 costs and so on, we don't want to rule anything
15 out, or at least I don't want to rule anything out
16 of the portfolio on the generation side.

17 Having said that, I mean, two-thirds of
18 what we do is actually on efficiency issues
19 because, you know, we're wasting more of the
20 energy we produce than we're using in a useful
21 way.

22 MR. ZICHELLA: And if I can just

1 respond. I just think that, you know, we have to
2 look at the hierarchy of costs. We don't have
3 unlimited resources to meet those goals. We have
4 to default to some of these others. NRDC still.
5 You know, we're not counting CCS, even though it
6 looks increasingly like a longer and longer shot
7 because the industries that would benefit from
8 themselves don't want to do them.

9 So, you know, I don't think it's
10 responsible to take anything off the table, but
11 it's irresponsible I think to assume that
12 everything has an equal ability to be implemented.
13 And there should be an order in which we go about
14 it that takes into account, and I think this is
15 captured in our outline, too, the affordability of
16 this.

17 CHAIRMAN COWART: Billy?

18 MR. BALL: I'm not going to weigh into
19 the nuclear debate. Distribution. One thing, and
20 I don't know that it really -- I'm just struggling
21 here to think if it even belongs in this paper or
22 not, David, so I'll just leave it with you to

1 think about it or for us to think about it.

2 You know, I was in a discussion a couple
3 of weeks ago just about the distribution system we
4 have now is pretty much -- there are parts of it,
5 but not much. And all the tools and all the
6 training that folks have in the distribution is
7 still largely radial in its logic.

8 And it would seem to me that
9 distribution is going to become just as networked
10 as transmission is in the future, and how do you
11 make that transition? It's not minor, but it's
12 not impossible. But it sure involves re-training
13 and re-tooling pretty much the majority of folks
14 who deal in that space. And I don't know how we
15 work that in here.

16 And I actually do think there are some
17 pretty intriguing D.C. opportunities. I see
18 Granger slipped out, but that was involved in the
19 discussion a couple of weeks ago, especially in
20 the context, I think, initially inside of a micro
21 grid, you know. You can avoid transitioning back
22 and forth and not create some costs beyond what

1 you would say if it seems it would make a lot of
2 sense.

3 I don't know really know where that
4 belongs in the paper or not, but I think the whole
5 D.C. debate may actually get more and more
6 important going forward.

7 MR. TILL: Thank you.

8 CHAIRMAN COWART: And, Sonny?

9 MR. POPOWSKY: Yes, thanks. Sonny
10 Popowski. I was wondering, Doug Larson made a
11 comment that I wanted you to comment on, that he
12 thought that transmission might become the backup
13 system. And I guess that means the primary
14 system, I guess, becomes micro grids and local
15 generation. Is that where you think we're headed,
16 or maybe Mike Heyeck, since this is your last
17 meeting, any thoughts about that as well?

18 MR. TILL: I've got some, and we'll let
19 Mike answer. Let me give my disclaimer this is
20 not for TVA. This is for David Till. Very many
21 people it seems to me, some who have consciously
22 thought about it and some who not have not

1 consciously thought about it believe that
2 transmission will be a backup. I personally
3 believe that transmission is an efficient and
4 economic primary energy delivery system and an
5 extremely expensive backup.

6 And I think if we go in a direction
7 where people assume that it's going to be a
8 backup, scales will fall from eyes as we move down
9 that road. And we'll either have to rethink the
10 decision, or we'll have to charge people a good
11 bit of money for that backup system. Mike?

12 MR. HEYECK: Paul and I were discussing
13 over the break the inertia of things. It's going
14 to take a long time for the grid to change. I see
15 a mixture of both, particularly in the coastal
16 areas. You might get into the micro grids, but in
17 Kentucky, in Wyoming, I don't see it there. I see
18 wind farms, offshore wind driving the need for
19 transmission as well as the fuel transformation
20 that's going on in the central station goals. So
21 by 2050, I see a room for both.

22 One thing that we're forgetting, we're

1 in a stagnant period of low growth, but I was
2 mentioning to Paul that in Europe's 20/20/20
3 paradigm, they actually see an increase in demand
4 because it's replacing other uses of energy. And
5 in the United States in the big puzzle of things,
6 there may be other uses of energy that may be more
7 efficient with electricity than with its primary
8 burning, whether it's industrial process or in
9 transportation.

10 So bottom line for me, it's going to be
11 a mixture of both, and we're trying to drive in
12 this paper the rational middle that would assume
13 the mixture of both.

14 CHAIRMAN COWART: Billy again?

15 MR. BALL: Yes, Sonny. I again was
16 involved in some conversations last week on some
17 of these topics with a different government agency
18 and a lot of conversation around micro grids. I
19 thought it was entertaining that we had a
20 conversation in developing countries what a great
21 opportunity micro grids will provide for some very
22 rural areas with the hope that one day some of

1 these micro grids might actually interconnect to
2 bring even greater efficiency. So I chuckled,
3 right, too many people in this country seem to be
4 trying to draw bright lines everywhere, and one is
5 worthwhile, and one is of great value.

6 And really, I don't see these big, great
7 bright lines, you know. I'm with Mike. I don't
8 see this as a one or the other. I think this is
9 going to be a great opportunity to have the power
10 of the "and." And I don't view the transmission
11 system or the distribution system as being just
12 being just a backup. We're just going to see this
13 whole integrated grid shift.

14 And you just have to go back to the
15 beginning of the business. One of the speakers
16 said today we just didn't have all the neat
17 technology we have back then that we have today,
18 so what a great opportunity because our company,
19 most utilities, most transmission owners started,
20 again, by small generators. Maybe they were
21 making ice. Maybe they were providing energy
22 source for a rail car, and they saw efficiencies

1 to integrate. Why would that go away?

2 It may change. The dynamics may change,
3 but I don't really see any one piece ever becoming
4 just a backup source.

5 MR. TILL: Further thoughts. I tend to
6 see distributed generation micro grids as
7 incompatible with transmission, not from the
8 standpoint that they can't interconnect and that
9 this area have micro grids and it tie into the
10 overall system through transmission, but from the
11 standpoint that the protection that's necessary
12 for a distributed generation or a micro grid is so
13 fundamentally, in my mind at least, incompatible
14 with the automatic protection and controls for the
15 transmission system that we'll have to plan
16 interfaces as we go.

17 CHAIRMAN COWART: Chris?

18 MR. SHELTON: Yes. I think building on
19 some of these concepts, I agree that I don't
20 understand why the lines always have to be so
21 bright. It doesn't make sense to me. And I'm
22 thinking about these things, the whole system and

1 what the implications are for storage, and it's
2 become more real to us as we've done more storage
3 at AS.

4 But when you envision storage, if it
5 becomes a significant alternative to a lot of our
6 investment in combustion turbines that are
7 rarely used, get used about six percent of the
8 time, the ones we've built over the last 12 years,
9 you build a system that's much more elastic. And
10 the total utilization of the transmission system,
11 you know, and the key components of that system is
12 not 100 percent. It's probably not 70 percent.
13 So you've got an untapped resource in the latent
14 unused capacity in the transmission system that's
15 enabled by any significant penetration of storage
16 into the generation fleet.

17 So if you took in the next 15 years
18 50,000 megawatts of CTs that EA forecasted and
19 just make that storage, you have a very different
20 system. It could flex 100,000 megawatts in one
21 second if it was all inverter based. So that's a
22 tenth of the system you would have in elasticity

1 in the system. It really changes how you think
2 about the interfaces between distribution and
3 transmission. It changes how you think about the
4 load side or distributed resources and how they
5 interface.

6 I think that's a very credible, possible
7 future we have over the next 15 years. And
8 storage just enables the grid to be even more
9 central to everything, and that transmission will
10 be, I think, more fully utilized and more central
11 than it is today.

12 MR. TILL: Thanks, Chris.

13 CHAIRMAN COWART: Any other comments on
14 the paper or the work plan?

15 (No response)

16 CHAIRMAN COWART: One thing I was just
17 going to add, and this doesn't need to be in the
18 paper, but I think it needs to inform sort of the
19 positioning of the paper in my own opinion,
20 speaking just for myself, I guess, that when we
21 say the power of "and" here, I agree with that in
22 terms of small needs big and the system needs

1 both.

2 But we also need to recognize
3 simultaneously that demand response and energy
4 efficiency at the customer locations are also part
5 of the "and" that needs to be available in order
6 to balance the system. And Chris just made the
7 point about storage. The same is true of other
8 kinds of demand response.

9 And the realization that what we're
10 trying to invent is a system that can do numerous
11 things using these new technologies to me is part
12 of the message. So the transmission policy agenda
13 has to take into account the distribution and
14 customer-located agendas. And I suppose that's an
15 obvious statement for this committee. I don't
16 want to belabor the obvious.

17 And I think it's also the case than when
18 we're talking about smart grids, so we're talking
19 about storage and other aspects of the committee's
20 work, we take account of the other buckets as
21 well.

22 MR. SHELTON: And to add on the smart

1 grid and the demand response are other forms of
2 elasticity, right? They fit in that same bucket,
3 right?

4 CHAIRMAN COWART: That's right. And I
5 apologize for even using the word "buckets"
6 because I these are more like interlocking fingers
7 than they are separate silos. Merwin and Carl.

8 MR. BROWN: Thank you. Merwin Brown,
9 CIEE. At the risk of also maybe saying something
10 that's obvious, and I hope at least this is
11 helpful, I mentioned, I think, earlier that my
12 team had taken on a question about what the future
13 architecture would look like maybe 2050 for the
14 electric grid. And we took a scenario approach.

15 And what we came up with was we picked
16 two variables that we thought were the most
17 uncertain and the most highly variable that would
18 affect the future. One of them was technology
19 development and adoption. We thought that went
20 hand-in-hand. And the other one was the degree to
21 which society will allow us to build our way out
22 of this problem because there's two ways of

1 getting flexibility. One you can overbuild. Not
2 overbuild. That's not a good way to put it. But
3 you can build enough robustness that you can
4 handle about anything. Or you use technology to
5 bring in the flexibility that you need.

6 And as a result, we came up with four
7 quite different scenarios, very different success
8 factors in each one of them, varying degrees of
9 transmission and distribution participation.

10 So I don't know whether that's any help
11 in this particular outline, but if, one, I'll
12 offer those comments to keep them in line as
13 you're looking at this outline because it could
14 change your outline considerably. And secondly,
15 if you want what we've done, I'd be more than
16 willing to share it with you, but it certainly
17 isn't the last word. You could pick other
18 variables perhaps, like what happens with
19 electricity demand. That could be a factor
20 whether it takes off again or not.

21 So for what it's worth category, that's
22 how we came up with some very different answers

1 for the future, all the way from heavy emphasis on
2 a micro grid approach to where transmission had a
3 real hard time struggling, to the other side,
4 which is more of the same of what we have, a lot
5 more transmission, et cetera. So for what it's
6 worth.

7 MR. TILL: Thanks, Merwin.

8 MR. ZICHELLA: Thank you, all. This is
9 really fabulous feedback. One thing I would say
10 in looking at this is we did try -- to Richard's
11 comment -- to try to incorporate that sort of
12 thinking. If you look at the outline elements,
13 sort of the first things you tee up are if I could
14 generalize it is understand what you need and
15 build what you need, and then get the most out of
16 what you've got, which sort of leads to taking
17 advantage of the customer side of the equation as
18 well as the transmission side of the equation.

19 As Mike said, finding the happy middle,
20 I think we all felt transmission isn't going away.
21 I don't know if I agree with Doug's comment that
22 it'll be a backup. Certainly I think the

1 distribution system and the line between the two
2 systems is blurring.

3 You know, if you look at how they can
4 complement each other, if you can control them,
5 you know, in an equivalent way, that's, I think,
6 something we should try to capture as part of this
7 that goes to the technology. We've spent a lot of
8 time talking about the control architecture of the
9 grid and how are we going to describe that and
10 identify the needs to DoE that we might want to
11 try to focus on to facilitate this very thing, the
12 interface between the distribution grid and the
13 bulk electricity grid.

14 I think that we can't look at them as
15 being utterly separate anymore. At some point the
16 controls around them, whether they're going to be
17 operated more locally or if they're going to be
18 integrated with a bulk operation, you know, they
19 influence each other too much.

20 We're seeing DC improvements on the
21 distribution systems of major utilities like LADWP
22 looking at replacing some of their AC grid with DC

1 grid to get more transfer capacity because they
2 can't find any rights-of-way. I mean, we're
3 starting to see this stuff now.

4 And to Merwin's point about scenarios, I
5 completely agree. I do think that it's very
6 difficult forecasting the future. It's great fun
7 prognosticating that. But we have to sort of look
8 at what sort of things would we do anyway? And
9 the greater efficiency things are the things you
10 would do anyway, getting more out of the grid,
11 designing a grid that can be expanded,
12 re-conducted more easily. So the rights-of-way
13 have value into the future, those sorts of things.

14 And I think we tried to reflect them
15 anyway, maybe imperfectly in the outline, but
16 they're there. And now as we start to write them,
17 we have to make sure that concerns that we have
18 today are well reflected in them. I do think
19 nuclear wasn't mentioned at all pretty much in the
20 documents, so we have to remedy that. It's part
21 of the President's plan. It's got to be
22 acknowledged in some way. The extent to which we

1 rely on it, I don't know, but we need to at least
2 have it in there.

3 Anyway, I just wanted to thank everybody
4 for their thought son this so far.

5 MR. TILL: I tried to get Carl to put
6 nuclear in there.

7 MR. ZICHELLA: My arm still hurts.

8 CHAIRMAN COWART: We look forward to the
9 fruits of your labors. Now, it's a total change
10 of topic. I have a proposal here from my
11 colleague. It's your idea.

12 MS. HOFFMAN: I just have a request. I
13 don't know how many people are thinking about
14 doing dinner, but I know the U.S. is playing the
15 World Cup at 6:00. And so, there was a couple of
16 us that decided maybe if folks want to go do
17 dinner, that's fine. But I'd like to go to see
18 the World Cup, so I know there's a couple of bars
19 around here.

20 I think folks were looking into that to
21 look at a place that maybe we could go socialize,
22 watch a little bit of the World Cup. And then if

1 people want to have dinner, they're more than
2 welcome to have dinner separately or stay and
3 watch the World Cup to the extent that they want
4 to stay. And so, that was the proposition that I
5 put on the table.

6 CHAIRMAN COWART: Do we have any info?

7 MR. SUCCAR: This is Samir. So the good
8 news is that the venue that we chose for dinner
9 has a bar in the front that will be showing the
10 World Cup. And so you can choose to be in the
11 back or in the front depending on how much World
12 Cup and soccer you want.

13 SPEAKER: Where is the place?

14 CHAIRMAN COWART: Across the street.

15 MR. SUCCAR: It's across the street.

16 CHAIRMAN COWART: All right. I'll tell
17 you what. Before we get into the logistics, why
18 don't we declare this meeting adjourned so the
19 reporter can take a break? Yes. So we're now
20 adjourned.

21 (Whereupon, the PROCEEDINGS were
22 adjourned.)

1 * * * * *
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary
4 public in and for the Commonwealth of Virginia, do
5 hereby certify that the forgoing PROCEEDING was
6 duly recorded and thereafter reduced to print under
7 my direction; that the witnesses were sworn to tell
8 the truth under penalty of perjury; that said
9 transcript is a true record of the testimony given
10 by witnesses; that I am neither counsel for,
11 related to, nor employed by any of the parties to
12 the action in which this proceeding was called;
13 and, furthermore, that I am not a relative or
14 employee of any attorney or counsel employed by the
15 parties hereto, nor financially or otherwise
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21 My Commission Expires: November 30, 2016

22 Notary Public Number 351998

