

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Friday, March 27, 2015

## 1 PARTICIPANTS:

2

3 AKE ALMGREN  
4 Orkas Energy Endurance

5

6 WILLIAM BALL  
7 Southern Company

8

9 ANJAN BOSE  
10 Washington State University

11

12 MERWIN BROWN  
13 California Institute for Energy & Environment

14

15 PAUL CENTOLELLA  
16 Analysis Group

17

18 CARLOS COE  
19 Analysis Group

20

21 RICHARD COWART  
22 Regulatory Assistance Project

23

24 CLARK GELLINGS  
25 Electric Power Research Institute (EPRI)

26

27 HONORABLE PATRICIA HOFFMAN  
28 Assistant Secretary for Office of Electricity

29

30

31 PAUL HUDSON  
32 Stratus Energy Group

33

34 CARL IMHOFF  
35 Department of Energy

36

37

38 HANK KENCHINGTON  
39 Office of Electricity Delivery and Energy  
40 Reliability

41

42

43 MARK LAUBY  
44 National Rural Electric Cooperative  
45 Association

46

47

48 KAREN LEFKOWITZ  
49 Pepco

50

51

52 KEVIN LYNN  
53 Office of Energy Efficiency and Renewable  
54 Energy

## 1 PARTICIPANTS (CONT'D):

2

DAVID MEYER  
Office of Electricity Delivery and Energy  
Reliability

4

CRAIG MILLER  
National Rural Electric Cooperative  
Association

6

GRANGER MORGAN  
Carnegie Mellon, Engineering & Public Policy

7

8

JEFF MORRIS  
Washington State House of Representatives

9

TIMOTHY MOUNT  
Cornell University

10

11

THY NGUYEN  
ICF International

12

JAY OLIVER  
Duke Energy

13

14

LYNN ORR  
Undersecretary for Science and Energy

15

WILLIAM PARKS  
Office of Electricity Delivery and Energy  
Reliability

16

17

JAMES PEDERSON  
Federal Energy Regulatory Commission

18

19

SONNY POPOWSKY  
EAC Vice Chair

20

WANDA REDER  
S&C Electric Company; IEEE

21

22

PAUL ROBERTI  
Rhode Island Public Utilities Commission

23

MATTHEW ROSENBAUM  
Office of Electricity Delivery and Energy

24

25

HEATHER SANDERS  
California Independent System Operator

## 1 PARTICIPANTS (CONT'D):

2

CHRIS SHELTON  
AES Energy Storage

3

4

PAM SILBERSTEIN  
National Rural Electric Cooperative  
Association

5

6

RAMTEEN SIOSHANSI  
Ohio State University

7

8

SAMIR SUCCAR  
ICF International

9

9

JEFFREY D. TAFT  
Pacific Northwest National Laboratory

10

11

MARY BETH TIGHE  
Office of Electricity Delivery and Energy  
Reliability

12

12

DAVID TILL  
Tennessee Valley Authority

13

14

ROY THILLY  
Independent

15

15

VICKIE VANZANDT  
VanZandt Electric Transmission Consulting

16

17

GORDON VAN WELIE  
Independent System Operator of New England

18

18

KAREN WAYLAND  
Office of Energy Policy and Systems Analysis

19

20

DAVID WADE  
EPB Chattanooga

21

21

ANDREA WAGNER  
ICF International

22

23

AUDREY ZIBELMAN  
New York Public Service Commission

24

24

CARL ZICHELLA  
Natural Resources Defense Council

25

26

\* \* \* \* \*

1 P R O C E E D I N G S

2 CHAIRMAN COWART: Okay, Committee  
3 members will you please take your seats? We are  
4 going to begin.

5 All right, good morning. Our first  
6 topic this morning is to hear an update on the QER  
7 from Karen Wayland. I see Karen's here.

8 MS. WAYLAND: Are you ready?

9 CHAIRMAN COWART: Yes, we're ready to  
10 begin with you, thank you.

11 MS. WAYLAND: Thank you for having me  
12 again. I think this is the third time that I've  
13 updated you and I think by now we thought that  
14 when we gave you an update in March that we would  
15 be holding up the actual final document. But I  
16 think that Sammy remembered me telling you early  
17 on that the interagency process would be the most  
18 difficult part of this endeavor. And, indeed, we  
19 did deliver the DOE version of the QER to the  
20 White House in January before the January 31st  
21 deadline and we have spent the last six weeks or  
22 so in a very intense interagency process that's

1 just wrapping up. And we're hoping to release the  
2 QER in the next couple of weeks.

3 It's going to take a little bit to get  
4 it formatted and laid out but we're largely done  
5 with it. The interagency process was quite good.  
6 We got a lot of really good comments from the  
7 agencies and so, it took some time to incorporate  
8 those into the report.

9 As you remember, we were looking at  
10 transmission, storage and distribution. That's  
11 not just wires and pipes but rail, barge, truck  
12 transport, waterways, that sort of thing. As I've  
13 been telling you through the last year, we divided  
14 up our analyses by sector. So we were looking at  
15 the electricity sector, the natural gas sector and  
16 liquid fuel sector and that at the  
17 interdependencies among those sectors.

18 But when we were done and the analyses  
19 we worked with our national labs, we worked with  
20 consultants. We had a large team within DOE both  
21 within EPSC and across the programs. And when the  
22 results of all the analyses started filtering in,

1 we really started to see some themes. And so,  
2 you'll see that the QER is organized not by  
3 sector, although we will have some sector specific  
4 appendixes that will come out a few weeks after  
5 the first volume comes out.

6 We really were looking at themes that  
7 came out. And those themes are resilience,  
8 reliability, safety and asset security is the  
9 first theme, energy security infrastructure,  
10 shared transportation and then, grid of the  
11 future. And the grid of the future is the only  
12 one of those themes that actually looks at one  
13 specific sector. And that's because, as you all  
14 know, the electricity transmission, storage and  
15 distribution system underpins so much of the other  
16 infrastructure as well as our basic economy.

17 And we have some cross-cutting themes as  
18 well. We have a section on citing. We have a  
19 section on environment and a section on jobs and  
20 workforce. You can, again, I remind you that  
21 we're starting to release a number of papers out  
22 of the analyses and ultimately, all of the kind of

1 work products that fed into the QER will be  
2 released to the public. We've posted a number of  
3 those, a couple of proceedings from a technical  
4 workshop on resilience metrics and we've posted a  
5 paper on modeling on the natural gas capacity  
6 needs looking out to 2030 on a number of different  
7 scenarios.

8           And those are -- you can find all of  
9 those papers as well as all of the proceedings  
10 from the stakeholders meetings at [energy.gov/qer](http://energy.gov/qer).  
11 If you look at the grid of the future, you're all  
12 well aware of the quickly changing landscape  
13 within the electricity sector, the massive  
14 injection of new, of innovative technologies and  
15 new services.

16           And so, we have an electricity system  
17 that is sort of an engineering marvel of the world  
18 but that's undergoing a significant amount of  
19 stress as a result of this unprecedented new  
20 technologies and demands on a system. I think  
21 you're going to hear today about the quadrennial  
22 technology review. And as we began working on the



1 QER and the QTR began, the people working on the  
2 QTR were working sort of in parallel, it became  
3 clear that what the QER should focus on is not on  
4 a research and development agenda but really  
5 looking at the institutional regulatory structures  
6 and business model challenges around these rapidly  
7 changing conditions within the electricity sector.

8           So what you'll see are recommendations  
9 really -- there's some focus on R&D and it's  
10 mainly through our support for the DOE's grid  
11 modernization crosscut. I can't tell you too much  
12 about the recommendations right now because  
13 obviously the document isn't out. But I can say,  
14 and the Secretary certainly has been giving  
15 speeches around the country where he says that the  
16 work on the QER did inform the FY16 budget  
17 request, so some of the things that you'll see in  
18 the FY16 budget request will be also reflected in  
19 the QER. Among those, as I mentioned, are the  
20 highlighting both the institutional support  
21 aspects of the grid crosscut but also the  
22 technology research development and deployment and

1 aspects of that DOE budget.

2 A couple of other things that are in the  
3 budget, and again, the Secretary is very clear  
4 from the beginning that there is no one size fits  
5 all national policy for energy. We really have to  
6 be cognizant and acknowledge the regional  
7 characteristics of energy in this country. And  
8 so, you won't see one size fits all  
9 recommendations.

10 What we were trying to do is design  
11 tools and resources for the people outside  
12 Washington who are working in this area. So  
13 you'll see a large theme across the sectors for  
14 aid to states and local entities that have to  
15 manage and help regulate and develop our energy  
16 networks. So a couple of things that came out in  
17 the FY16 budget in addition to the crosscut were  
18 support for state energy assurance plans.

19 Those were set up under the Recovery  
20 Act. We funded, I think, almost all the states,  
21 maybe 48 or 49 of the states completed energy  
22 assurance plans. It's much more of a focus on

1 emergency planning and it was a one-time shot from  
2 the administration because it was recovery  
3 funding. But we believe that those are really  
4 critical to helping the states maintain sort of  
5 electricity reliability, affordability and to  
6 recover and build out resilience.

7           So we have envisioned and the FY16  
8 budget is a down payment on permanent funding so  
9 that states can update those energy assurance  
10 plans every two years as well as exercise,  
11 practice them and potentially, what we were  
12 hearing from the White House and from the outside  
13 stakeholders was that it would be great if we  
14 could actually make those energy assurance plans  
15 very rigorous and have some very strong criteria  
16 in there for what the plans look like.

17           And if we do that, it's possible that in  
18 the future, we can build out additional funding  
19 for say pre- disaster mitigation or other things  
20 that would rely on making sure that things are  
21 built out in the energy assurance plans. We also  
22 are in the FY16 budget created a program for state

1 reliability, state electricity reliability  
2 planning and Pat's nodding. I don't know if she's  
3 actually talked about it.

4           But again, that's designed to give --  
5 where the state energy assurance plans would be  
6 some sort of base like a formula, the state  
7 electricity reliability plans would be competitive  
8 and they would be preferenced (sic) for plans for  
9 proposals that come in that actually highlight the  
10 cooperation both within states and with  
11 neighboring states and also with the variety of  
12 stakeholders and reliability coordinators that are  
13 concerned about building out a transmission system  
14 that keeps our electricity reliable and  
15 affordable.

16           We've gotten a lot of interest from both  
17 the House and the Senate. You know, we were  
18 directed to do legislative proposals, budget and  
19 as I said, R&D but that'll be mainly the QTR and  
20 executive actions. It turned out that it was very  
21 difficult for us to come up with a large number of  
22 legislative proposals because you're in an

1 interagency process. You have to work through the  
2 White House.

3 But we have -- our body of analysis can  
4 provide a lot of technical support to the House  
5 and the Senate when they build out their energy  
6 bills. And we've met multiple times with Hill  
7 staff throughout this process. And they are very  
8 interested.

9 I think if you look at the outline that  
10 came out of Chairman Upton's committee about what  
11 they're thinking about in terms of an energy bill,  
12 it largely fits into the number of the categories  
13 that we're working with in the QER. So we do  
14 expect that the report will lead to some  
15 legislative action.

16 In fact, we are scheduled -- we were  
17 scheduled several times in April for the Secretary  
18 to testify in front of the Senate Energy and  
19 National Resources Committee on the QER and as  
20 this process has been moving a little more slowly  
21 than we anticipated, we've had to move that  
22 hearing. But stay tuned for that because I think

1 that'll kick off -- and you may know that the  
2 Senate Energy and Natural Resources Committee a  
3 couple of weeks ago had a hearing on the grid of  
4 the future. And the plan originally had been that  
5 they'd have a hearing on the grid of the future  
6 and the next week would be a QER hearing. But  
7 we're stringing them along a little bit much to  
8 everyone's frustration but we're almost there.

9 I have a fair amount of time left so I  
10 will talk about another one of the themes that we  
11 picked up on. And it was one that I don't think  
12 any of us actually expected to be both so  
13 interesting and both so critical to our energy  
14 system and that's shared transportation. And by  
15 that I mean not the dedicated infrastructure of  
16 wires and pipes but the kind of infrastructure,  
17 the roads and waterways and ports and harbors,  
18 where multiple commodities and not just energy, we  
19 are talking about multiple energy commodities  
20 moving this way, but basically the majority of the  
21 commodities, the commerce, in this country moves  
22 roads, waterways, ports.

1           And so, what we're seeing, we looked at  
2 fuel delivery systems. To some extent we looked  
3 at trucks and roads but we really looked at those  
4 mainly through the interconnectors with ports, so  
5 the roads and rail. We didn't spend a lot of time  
6 on roads. We looked at storage facilities,  
7 refined product facilities and one of the key  
8 questions that we were asking was what are the  
9 effects of the increasing use of these shared  
10 transport systems for moving energy commodities?

11           We're saying massive increases in  
12 movement of domestically produced oil but it isn't  
13 just oil. It's frack sands; it's actually waste  
14 water in some places. It's coal. It's ethanol.  
15 So it's these movements and increasing movements  
16 of product by rail but also in the waterways.

17           We're seeing an increased use of  
18 waterways for moving coal, for moving ethanol, for  
19 moving other energy commodities and that's  
20 happening at the same time as we're seeing an  
21 overall increase in waterborne commodity  
22 transport. We're expecting over the next 20 years

1 to see a doubling in marine freight movement  
2 through our ports and all of this is resulting in  
3 congestion, delays, some increased price for  
4 moving goods around.

5           And so, we were really looking at what  
6 the effects might be and whether there's a  
7 government role in helping to address the changing  
8 nature of the movement of these goods on the  
9 waterways. We are seeing a significant  
10 maintenance backlog which I don't think will be a  
11 surprise to many people. I spoke a couple of  
12 weeks ago to the Association of State Highway and  
13 Transportation officers. And they are all  
14 grappling with these massive changes in the  
15 transportation system.

16           So we were really looking at what the  
17 effects are not just on the movement of energy  
18 commodities. You probably have heard of the four  
19 coal units in Minnesota that had to shut down  
20 earlier in the fall last year to wait so that they  
21 could stockpile coal for the winter. They  
22 couldn't get enough coal because there was so much



1 congestion on the rail.

2 So these are capacity constraints that  
3 we were examining and they do have economic  
4 effects. The civil engineers have noted that the  
5 congestion and inadequate connections from port  
6 terminals to roads and rail are one of the biggest  
7 challenges causing delays and moving goods from  
8 ports into the markets.

9 So there are likely economic effects but  
10 we believe that there are potentially also some  
11 security effects and that's where we get into  
12 looking at energy security infrastructure, which  
13 for us, the majority of our work in that space was  
14 around the strategic petroleum reserve. And when  
15 you look at the original goals of the strategic  
16 petroleum reserve, it was set up to and it  
17 continues to have the objective of buffering the  
18 United States from massive oil disruptions.

19 What it was designed to do was before we  
20 had this huge increase in domestic oil production,  
21 it was designed to move oil from the Gulf Coast  
22 into the lower 48, into our domestic marketplace.

1 And with this change in production, what we're  
2 seeing is that the need is for -- and this was  
3 also set up before we had a global oil market. So  
4 what we're seeing now is a need for the strategic  
5 petroleum reserve to be able to deliver oil out  
6 into the global market.

7 So it's a complete reversal of the flow  
8 that we need the oil to move out of. That's  
9 happening at the same time that we're seeing a lot  
10 more product moving on the pipes that come down  
11 into the Gulf and in the tankers and barges that  
12 are moving around the Gulf. So we did a test sale  
13 of the strategic petroleum reserve a little over a  
14 year ago and have been evaluating the ease or the  
15 lack of ease of which we can move that oil out  
16 into the marketplace.

17 So you'll see some recommendations  
18 within the QER around how we might modernize the  
19 strategic petroleum reserve not only to upgrade  
20 the equipment that's there but also to look at how  
21 we might both legislatively and sort of  
22 structurally adjust what the strategic petroleum

1       reserve looks like in order to better get market  
2       out into the global market.

3                   I think with that I will stop and open  
4       it up for questions and hopefully come back to you  
5       at your next meeting and hold up the document and  
6       pass it out to you.

7                   CHAIRMAN COWART: Well, we look forward  
8       to that.

9                   MS. WAYLAND: Yes, so do we.

10                  CHAIRMAN COWART: Any questions or  
11       comments?

12                  MS. SILBERSTEIN: Good morning, Karen.  
13       I apologize --

14                  MS. WAYLAND: Pam has been sitting  
15       through all of our meetings all year long. She  
16       flew all over the country and she's heard this  
17       spiel many times from me so thank you for sitting  
18       through it.

19                  MS. SILBERSTEIN: Well, it wasn't --

20                  MS. WAYLAND: And still having  
21       questions.

22                  MS. SILBERSTEIN: -- me, it was a lot of

1 coop representatives so I hope their input was  
2 useful and I apologize if you mentioned this since  
3 I came in late but did you talk about the  
4 connection between the QER findings, the  
5 recommendations and budget impacts?

6 MS. WAYLAND: I did.

7 MS. SILBERSTEIN: Okay.

8 MS. WAYLAND: So we, as I mentioned, the  
9 QER did inform the FY16 budget and we expect that  
10 we'll be working very closely with the  
11 appropriators over the next few months as soon as  
12 we can release the report to figure out how we  
13 might fund other parts of the recommendations.

14 MR. ZICHELLA: Good morning, Karen.

15 MS. WAYLAND: Hi, Carl.

16 MR. ZICHELLA: I was struck by the fact  
17 that you didn't mention climate one time and so  
18 much focus on facilitating fossil fuel  
19 infrastructure which, of course, is part of the  
20 overall picture. But how does this fit in here?  
21 I mean, you said there was a --

22 MS. WAYLAND: Oh, climate is all the way

1 through it. It was a lack of coffee on my part.

2 MR. ZICHELLA: All right.

3 MS. WAYLAND: I mean, we really look at  
4 particularly the grid as an enabler for the  
5 President's climate goals. And when we, for  
6 example, did transmission scenario modeling --  
7 actually all of our modeling was done under a  
8 variety of scenarios and we kind of pushed the  
9 envelope to see how far we could stress the system  
10 to see what it would look like as it evolved to  
11 2030 to meet our needs.

12 And climate goals were always part of  
13 the scenarios that we looked at. And it turns out  
14 that so, for example, in transmission,  
15 long-distance transmission, we did modeling that  
16 looked at high and low energy efficiency, high and  
17 low natural gas, high and low; I'm trying to think  
18 what the other scenarios were. Coal plant nuclear  
19 retirements, we looked at a carbon policy not a  
20 specific policy but sort of a carbon target. And  
21 then, we combined those to see what the  
22 transmission scenarios would look like.

1                   And under all of the scenarios, save the  
2                   one where we combined high renewables or low cost  
3                   renewables, strong carbon goal, a number of other  
4                   things, we didn't see a significant amount  
5                   additional transmission built beyond the business  
6                   as usual case. Which is not to say that there  
7                   won't be more transmission built out to 2030, only  
8                   that when you actually run these scenarios you see  
9                   some regional differences that develop.

10                   So for example, if you push the envelope  
11                   on low cost renewables, and we use low PV as a  
12                   proxy, what you see is a regional -- you don't see  
13                   very much difference in the business as usual but  
14                   what you do see is, for example, less perhaps  
15                   build-out in the southwest but a little bit more  
16                   than you would see in business as usual in the  
17                   Midwest to build out to connect for reliability  
18                   issues.

19                   So we were very much looking at, and  
20                   even in the natural gas sector, I mentioned a  
21                   study that's been posted on the Web that it looks  
22                   at natural gas capacity. And that study, again,

1 various scenarios to look at the interstate  
2 pipeline capacity. And we looked at low, medium  
3 and high demand for natural gas from the  
4 electricity sector and it turns out that even in  
5 the high demand scenario, which was modeled around  
6 a carbon goal that would lead to retirement of  
7 electricity generators, you didn't see that much  
8 more capital investment that was required than  
9 business as usual.

10 In fact, in the next 15 years, even  
11 under a strong carbon goal, you would see less  
12 build-out in the natural gas capacity system or  
13 natural gas interstate system because there's been  
14 significant investment over the last 15 years and  
15 there's a lot of capacity, excess capacity and  
16 flexibility in the system right now. So we  
17 absolutely were looking at climate and it's, you  
18 know, in 10 minutes and without coffee I didn't  
19 mention it.

20 MR. ZICHELLA: You just made up for it.  
21 I also wanted to just comment briefly on the  
22 strategic petroleum reserve things you just

1 described. I was surprised by that given, you  
2 know, the focus on climate as well. The export  
3 situation seems like that's still a political and  
4 not necessarily a clear cut decision. There's  
5 lots of opposition to exporting --

6 MS. WAYLAND: Yeah, but this isn't about  
7 lifting an export ban. This is about the  
8 strategic petroleum reserve in emergencies. And  
9 so, there is statutory authority to actually sell  
10 the strategic petroleum, the oil in the reserve.  
11 So it's not a -- it was outside of whether or not  
12 you would be exporting domestically produced, I  
13 mean, this is domestically produced oil but it's  
14 not the same. It was under emergency situations.

15 MR. ZICHELLA: Okay, great, thanks for  
16 that clarification.

17 MS. WAYLAND: And there's a whole -- in  
18 the statutory language for the strategic petroleum  
19 reserve there are triggers that allow the  
20 President to sell that oil and one of them is for  
21 a test sale to make sure that the equipment's  
22 working but then there are a series of kind of



1 price shock issues and around there.

2 It turns out that we have -- we did look  
3 at fuel resiliency. We did a series of regional  
4 fuel resiliency studies. And it turns out that if  
5 you look at what the triggers are for the New  
6 England home heating oil reserve, they're not the  
7 same as the kinds of triggers that you would have  
8 for the strategic petroleum reserve.

9 And we were looking at whether that made  
10 sense in this environment. Whether you needed  
11 separate triggers for the different reserves that  
12 we have. So --

13 MR. ZICHELLA: Thank you.

14 MS. WAYLAND: -- yeah.

15 CHAIRMAN COWART: Gordon?

16 MR. VAN WELIE: Good morning. I just  
17 wanted to come back at your comment about the  
18 pipeline study and I found that interesting and it  
19 makes it --

20 MS. WAYLAND: Except in New England.

21 MR. VAN WELIE: -- well, so my question  
22 really was, I mean, you've learned some things in

1 New England.

2 MS. WAYLAND: Yeah.

3 MR. VAN WELIE: So you know, the  
4 conclusion of the study was looking back 20 years,  
5 we built a lot more pipeline capacity than what we  
6 think we're going to need looking forward 20 years  
7 and that the industry is perfectly capable of  
8 building enough pipeline to meet the need. And I  
9 accept all of that.

10 MS. WAYLAND: I don't think I said  
11 perfectly capable.

12 MR. VAN WELIE: Okay.

13 MS. WAYLAND: I mean, we acknowledge in  
14 the study that there are siting issues and but  
15 that they're not insurmountable.

16 MR. VAN WELIE: So setting aside the  
17 siting issues which are non-trivial, I thought the  
18 study missed one thing though which was most of  
19 that pipe historically was built under a  
20 vertically integrated utility structure where the  
21 state regulators when they bless the power  
22 station, they could also bless the fuel supply and

1 roll all of that into rates.

2 So I think the challenge that's emerged  
3 and we're sort of at the forefront of that  
4 challenge in New England is that in a restructured  
5 environment, merchant generators typically will  
6 not sign to build this pipeline. So I think  
7 whereas the industry is capable of doing this, the  
8 question is who's going to sign up to get it done.

9 MS. WAYLAND: Right, right. That's  
10 right.

11 MR. VAN WELIE: And I was wondering if,  
12 you know, the QER is going to highlight that  
13 problem?

14 MS. WAYLAND: Yes, we do. We do. In  
15 fact, we do actually have a vignette on the  
16 situation in New England so we do. I would say  
17 another thing that Kate highlighted to us. We  
18 started thinking about storage and the changing  
19 nature of storage in this. You know, where you  
20 have a price differential that used to drive  
21 investments in storage and perhaps with a greater  
22 reliance on natural gas, you may need more high

1 deliverability storage.

2 But if you're seeing more natural gas  
3 being used in the summer for generating and  
4 keeping houses cool, you know, you see electricity  
5 spike during the summer, what does that do to the  
6 price differential on natural gas and what does  
7 that mean for long-term investment in storage?  
8 And so, that's one thing that became clear to us  
9 that it was -- and we asked a lot of questions  
10 about storage around the country about to experts  
11 and they were only just starting to think about  
12 the implications on storage.

13 So something that we focus -- we didn't  
14 focus on, we are raising as an issue to pay  
15 attention to.

16 CHAIRMAN COWART: Nothing further? Once  
17 again, thank you very much.

18 MS. WAYLAND: Thank you.

19 CHAIRMAN COWART: Committee members will  
20 remember that yesterday we were unable to hear  
21 from Jeff Taft as part of Clark Gellings' panel  
22 and Jeff was able to make it this morning. Thank

1       you. I'm glad you're here. And Clark, to you.

2                   MR. GELLINGS: Thank you. Jeff, you  
3       only get a brief introduction even though you came  
4       late and may have been looking for more star power  
5       out of this but I'll give you about the same  
6       length of introduction as I gave everyone else.

7                   What Jeff is going to add to the  
8       discussion that we had yesterday, we had an  
9       excellent panel, I think, is more on grid  
10      architecture. Jeff Taft is the chief architect  
11      for electric grid transformation and energy  
12      environment in the Pacific Northwest Energy  
13      Laboratory. Long list of accomplishments but  
14      basically responsible for the development and  
15      articulation of large-scale architecture for grid  
16      modernization as well as the future power grid  
17      initiative, advance computing and the control of  
18      complex systems.

19                  He's had similar roles roughly with  
20      Sysco, Accenture and IBM. And so, Jeff, please,  
21      we're anxious for you to share your thoughts with  
22      us.

1                   MR. TAFT: Well, good morning and thank  
2                   you for accommodating my travel misadventure  
3                   yesterday. I actually live near Pittsburgh and I  
4                   come to DC all the time on a flight that's only 40  
5                   minutes long but that was the longest 40-minute  
6                   flight I've had in some time. They took us to  
7                   Richmond and bused us back up here just in time to  
8                   miss this whole meeting.

9                   What I would like to talk about today is  
10                  some work we've been doing on system architecture  
11                  as it applies to the grid. And I'm going to give  
12                  you a little bit of background and history on  
13                  where this comes from and then, show you a little  
14                  bit of the work that we've been doing and how this  
15                  applies.

16                  The reason I need to give you some  
17                  background on this is because the word  
18                  architecture gets used a lot and in some ways  
19                  incorrectly and some ways correctly but with a  
20                  slightly different slant and orientation. This  
21                  came about because we realized that a lot of the  
22                  methods that people were using applied to the grid

1 weren't powerful enough to deal with the emerging  
2 complexity that we saw.

3           And so, just to be clear, what we mean  
4 by a system architecture is a model of a complex  
5 system and we use it to help think about that  
6 system especially about the overall shape of the  
7 system, if you will, the overall structure, the  
8 attributes and how the parts interact. And we'll  
9 -- you'll hear me talk a lot about structure when  
10 I talk about this because it is the structure that  
11 sets the essential limits on what a system can and  
12 cannot do.

13           We've inherited a lot of structure from  
14 the 20th century grid and in some cases, we need  
15 to make changes to that to enable new  
16 capabilities. And it's important to understand  
17 the implications of those changes. We have such a  
18 complex system that I understand it can be  
19 difficult.

20           So we use this discipline in general to  
21 help manage complexity and therefore risk. And we  
22 also use it to help assist communication amongst

1 stakeholders. When something is this complicated  
2 you can find people easily talking past each  
3 other. So this is a way to help solve that.

4           And I already mentioned about barriers  
5 and essential limits and so on. And it also helps  
6 us identify gaps in theory and technology,  
7 organization and so on. We can use it to find  
8 interfaces and platforms and finally enable  
9 prediction of system properties on a rigorous  
10 basis.

11           The discipline arises from work in  
12 various areas. Some of it goes back into  
13 activities done by the Department of Defense but a  
14 lot of this comes from places like Cal-Tech and  
15 MIT, CMU and other places and we're doing some  
16 work now at the Pacific Northwest.

17           What's in a system architecture? Well,  
18 first of all, there are abstract components what  
19 -- those are the boxes that you would see on a  
20 typical diagram but we don't worry too much about  
21 what's inside the boxes. We treat them as sort of  
22 black boxes and the idea is that we're concerned



1       about how they look from the outside about their  
2       properties but not how they're implemented.

3                 So if I talk about, in the architectural  
4       level, I talk about storage, I'm interested in how  
5       it looks to the system but not how it's  
6       implemented. So it doesn't matter to me whether  
7       it's a flow battery or whether it's something  
8       else. That's left to the system designers and  
9       part of the issue with architecture is not to  
10      encroach on that area and tell people how to  
11      implement things. That's not what this is about.

12                That being said, we have to be a little  
13      careful that we don't specify things that aren't  
14      for real. So you've seen this cartoon before  
15      right in the middle there, it says that a miracle  
16      occurs. Well, we're not allowed to do that so  
17      sometimes we do have to understand and investigate  
18      a little bit about the components and understand  
19      what's possible so that we don't find ourselves  
20      trying to specify something that really couldn't  
21      happen. So I usually say no anti-gravity boxes  
22      but this cartoon sort of says it there.

1                   Structures, as I mentioned, are a thing  
2                   that we focus on a lot. They're the overall shape  
3                   of the system if you will. A lot of that is  
4                   nicely depicted graphically but, you know, a  
5                   simple diagram, a block diagram or some boxes and  
6                   lines does not rise to the level of an  
7                   architecture. There's an awful lot more to it  
8                   than that.

9                   It is not possible to depict a complex  
10                  system with one single diagram and so, somebody  
11                  shows up and says, hey, I've got an architecture  
12                  for the grid and it's only on one page, you should  
13                  probably be very concerned that maybe there's not  
14                  enough there. There are a lot of things that we  
15                  have to think about. There are a lot of  
16                  structures and in the case of the grid, as you can  
17                  see, that becomes a significant issue for us.

18                 Finally, there are the externally  
19                 visible properties. The components that we talked  
20                 about have properties that we see from the  
21                 outside. So do the structures have properties and  
22                 those are really of a lot of interest to us and,

1 of course, those come together to create the  
2 properties of the entire system.

3           So when you think about that, when we  
4 think about it, we think about it in terms of  
5 system qualities, those things we want the system  
6 to be able to do kind of seen from the perspective  
7 of the users. And then, the properties of such a  
8 system that are necessary to provide those  
9 qualities.

10           So if you think about it, structures and  
11 their properties, components and their properties  
12 combine together to make system properties which  
13 support what we call system qualities. Some  
14 people refer to the qualities as, you'll hear this  
15 term, the "ility" words. And there are a lot of  
16 those that get used in this area. There's  
17 actually some distinction between which ones  
18 belong in the property area and which ones belong  
19 in the quality area.

20           Well, the system architect helps sort  
21 that stuff out. So when we think about creating  
22 an architecture, when we compose an architecture,

1 we start from the problem domain side. What are  
2 the user's needs and what are the public policies  
3 and so on? And we think about then what qualities  
4 should a system have and then move to so how do we  
5 compose an architecture that's going to be able to  
6 support all of that.

7           So the distinction between qualities and  
8 properties is really what's on the problem domain  
9 side as seen by the users and what's on the  
10 solution domain side as seen by the implementers  
11 and operators.

12           So what is grid architecture? Grid  
13 architecture is, in part, the application of  
14 system architecture methods to the grid, but we  
15 have also brought in the relatively recent, and I  
16 mean starting back in the 2000s, general theory of  
17 networks and some elements from control  
18 engineering. We've put all those together and  
19 applied those to the grid so there's considerable  
20 knowledge about the grid involved in this, too,  
21 and that's what we mean by grid architecture.

22           So this is specifically not enterprise

1 IT architecture nor is what most people would have  
2 called over the last 10 or 15 years smart grid  
3 architecture. This is really about thinking about  
4 the entire system and I'm going to show you a  
5 little bit how we consider about that. Some of  
6 the paradigms we use are listed here and these are  
7 probably terms that mostly you haven't seen before  
8 in these discussions.

9 That's because most of the discussion  
10 has been from the enterprise IT world but we think  
11 of the grid not as a large collection of systems  
12 but as a network of interacting structures. And  
13 that's a point of view that arises from the  
14 paradigm of ultra-large scale systems that came  
15 out of work at the Software Engineering Institute  
16 at Carnegie Mellon University where you think about  
17 certain systems being so large and complex that  
18 they're referred to as ultra-large scale systems  
19 and there are a set of characteristics that define  
20 those systems.

21 Turns out that our power grids fit very  
22 nicely into that paradigm and that tells us that

1 we need to think about things a little bit  
2 differently than we would for ordinary large  
3 systems. So we use a variety of methods, some of  
4 which would be familiar, some of which might be  
5 less familiar and I'm going to show you some of  
6 the results we get from that.

7           Some of the principles that apply,  
8 though, are that the architecture really is there  
9 to meet the needs of the stakeholder and shouldn't  
10 violate some established principles. But it's not  
11 really there to just be complex for the sake of  
12 complexity. It's not there to be elegant in the  
13 eyes of the architects. You get a fair amount of  
14 that from some folks who do this kind of work.

15           It's not intended to be art. To the  
16 extent that we can manage, it's intended to be  
17 science. And that's hard because the scientific  
18 basis for architecture is not as fully fleshed out  
19 as we would like to see it. It is not as fully  
20 fleshed out as you would find in, say, physics or  
21 electrical engineering. But there are a lot of  
22 things that we can use and a lot of bases for this



1 network of structure. So what does that mean?  
2 Well, we have classified the structures in  
3 ordinary groups and the most obvious one is the  
4 electric infrastructure. Everybody would clearly  
5 see that. And then, there is also very clearly an  
6 industry structure. And of course, there's a lot  
7 of work going on now in the industry to think,  
8 rethink certain aspects of that industry  
9 structure.

10 Regulatory structure, naturally and  
11 digital infrastructure, so all of the information  
12 and communication technology stuff that we think  
13 about, we classify that as one of the structures  
14 that we have to think about in this network of  
15 structures.

16 Control structure where you think about  
17 explicitly. This is such an important function in  
18 the operation of our grids that rather than treat  
19 it like it's just another application as you would  
20 see in some approaches, we break that down very  
21 explicitly and think about that because it has  
22 strong structural implications.



1                   And then, there are a variety of what we  
2                   refer to as convergent networks. These are things  
3                   that are starting to interact so closely with the  
4                   grid that we have to think about them  
5                   simultaneously with the grid and among those would  
6                   be things like some of the fuel networks,  
7                   transportation networks and even social networks.

8                   So within each one of these structures  
9                   there are a variety of pieces and ultimately you  
10                  would see all the pieces of the grid in here. And  
11                  we have just classified them in a way that helps  
12                  organize them. But there's one that's actually  
13                  not shown here yet that exists partially in the  
14                  grid in some places. It's hidden in some places  
15                  but it's in there and other places it doesn't  
16                  exist at all. And we refer to that as a  
17                  coordination framework.

18                  You know, when I started to talk about  
19                  this with the industry probably, oh, four years  
20                  ago, people were kind of puzzled about it. But  
21                  honestly, if you go to the conferences now you  
22                  will hear an awful lot of discussion about this

1       topic of coordination. And the reason it came to  
2       the fore is because when people started to think  
3       about connecting vast numbers of devices to the  
4       grid that would interact with the grid, in a  
5       significant way, but not to be owned by the  
6       utilities, then the question of how to get all of  
7       those to be cooperative and not fight each other  
8       so that we could solve a common problem in the  
9       delivery of energy led to the issue of thinking  
10      about this concept of coordination.

11                To be rigorous about that required some  
12      things that we wanted to delve into and, in fact,  
13      there is a body of knowledge that can apply to  
14      that and we have worked quite a bit on that. I  
15      first saw some of this, believe it or not, in a  
16      Chinese engineering paper in English, not in  
17      Chinese. I don't read Chinese.

18                And it pointed me to some work that had  
19      been done in the networking area. That's where we  
20      got interested in the work that was being done by  
21      people like John Doyle at Cal Tech and some others  
22      to be able to put a rigorous basis behind how to

1 do this sort of thing because a lot of work in  
2 this area was very ad hoc. And when you put  
3 things together in an ad hoc way and you aren't  
4 careful about the structure, that's a fabulous  
5 recipe for getting unintended consequences.

6 So we were interested in putting them on  
7 a stronger footing and, in terms of coordination  
8 framework, we've made very good progress with  
9 that. I need to skip that slide because that's  
10 actually interactive and I can't do that. I don't  
11 have a mouse to push the buttons there.

12 One of the things that we do is look at  
13 industry structure, as I mentioned. This is an  
14 example from some of the work that we did last  
15 year for the Department of Energy. Carl Peckman  
16 had sponsored us to do a good bit of this work and  
17 he saw the value in using this as a means to help  
18 think about the problem.

19 You probably can't read the details of  
20 that diagram from there. If you can, your eyes  
21 are pretty great. But what we do is we break  
22 these things down. The issue here is to

1 understand all of the various entities involved  
2 and how they relate to each other and break that  
3 down even further as we drill down into it. So we  
4 construct these models for the structure of the  
5 industry.

6           The structure of the industry is closely  
7 related to two other issues one of which is  
8 control structure and another which is  
9 coordination framework. So pretty important to do  
10 that. A lot of discussion has been going on in  
11 the industry around some concepts that are far  
12 from being settled but are pretty popular. The  
13 idea of distribution system operators and so on,  
14 so we constructed a model of what one of those  
15 arrangements might look like, an industry model.

16           And then, we took a look at extracting  
17 from that the coordination framework that  
18 underlies that. So we looked at the original  
19 arrangement and we were able to actually look at a  
20 structure like this and analyze some of its key  
21 properties and then, look at what it would be like  
22 under that DSO model and compare those properties

1 to the original model. And that helps provide  
2 architectural understanding for and potentially  
3 justification for certain kinds of structural  
4 changes to the industry and to the control systems  
5 that would result from this.

6 People have found a lot of value in  
7 being able to think about this in this particular  
8 way. And so, we were helping some folks work  
9 their way through that.

10 We also took a look at things like whole  
11 system control structure and, boy, if you can read  
12 the details on this diagram you're really good.  
13 But let me blow up a part of that.

14 Understanding, for example, in the bulk  
15 system level how the markets and control systems  
16 interact in detail has become rather important  
17 because there are efforts underway to think about  
18 creating markets for distributing energy resources  
19 that might behave in somewhat similar ways at the  
20 distribution level.

21 And so, understanding that interaction  
22 and why it's important when you're thinking about

1 markets and market rule is to also understand how  
2 it's connected to the control systems is of major  
3 importance. And so, providing models that help  
4 people understand and see those implications is a  
5 part of what we do with the grid architecture  
6 work.

7 We also, in the course of the work last  
8 year for DOE took a look at some of this  
9 convergence issue around different kinds of  
10 infrastructures. In particular, we were  
11 interested in the case of gas and electric this  
12 issue of midstream generation which some of you  
13 may be familiar with. In the case of shale gas, a  
14 lot of that gas is brought to midstream compressor  
15 plants and then to midstream processing plants  
16 before it's separated out and the natural gas goes  
17 into the main gas transportation pipeline.

18 But some smart folks figured out that  
19 they could put midstream generation at those  
20 midstream processing plants, so less than 20  
21 megawatt size generators. They get the gas there  
22 sort of wholesale before it goes into the gas

1 transmission system and they generate electricity  
2 connected to the transmission system but close to  
3 loads.

4 So it creates a sort of inner resilience  
5 loop inside a much larger loop involving gas and  
6 electricity. And that was the phenomena we were  
7 interesting in capturing in that particular work  
8 and illuminate it a little bit.

9 So what have we been doing lately with  
10 this? Well, we've had some interesting uptake.  
11 Some of this was done as part of the work for the  
12 QER, through EPSA last year, and that was of  
13 limited scope meaning we do not try to build an  
14 entire grid architecture and we're continuing to  
15 work forward with Office of Electricity. So  
16 there's a large document that we produced, 115  
17 pages' worth of the kinds of things that I showed  
18 you there. Some of it is tutorial about the  
19 process and methods but some of it is actually  
20 looking at existing structures for our grids and  
21 then, selected forward-looking views of how the  
22 grid could evolve and using these methods to

1 depict and understand them.

2                   And some of this work has started to  
3 become pretty popular. We find it being  
4 referenced a lot in industries now because the  
5 paper has been passed around some. And for  
6 example, it's being used in the law class at GWU  
7 about the grid.

8                   And the reason I point that one out is  
9 because remember what I said about this is  
10 intended to be consumable by all the stakeholders  
11 and be useful for more than just architects and  
12 engineers? Well, these are law students learning  
13 about the grid and the professor who teaches that  
14 class saw the paper and thought this would be a  
15 useful way to help them see things through kind of  
16 a different lens.

17                   So I was kind of interested when I heard  
18 about that because when you get those unexpected  
19 results, that's sort of a good indicator that  
20 maybe things are going in the right direction.  
21 We've also been privileged to provide a little bit  
22 of assistance to the New York REV process and so,



1       that's an ongoing thing where we're taking some of  
2       these methods and applying them there.

3                 So some of the models that you've seen  
4       here, we're building the corresponding model  
5       specifically for the State of New York both in  
6       terms of existing and in some potential future  
7       views of how things may look because some of what  
8       they're concerned with in terms of roles and  
9       responsibilities at the distribution level and the  
10      creation of markets and so on, are greatly aided  
11      by having these multiple structural views to help  
12      them see the potential consequences.

13                And so, we showed them a little bit what  
14      we were doing and they said that looked like  
15      that's useful so we're working with them going  
16      forward. And some of the insights that have come  
17      out of this are confirmed in a variety of ways by  
18      what people thought they knew in the industry and  
19      what we were able to show is that our  
20      architectural view says the same thing. And one  
21      of them is something that we talked about recently  
22      is the Senate Committee hearing on -- there's a

1 Senate Committee on Energy and Natural Resources  
2 hearing on technological innovation in the grid.

3 One of the things we've talked about is  
4 the combination of storage, power, electronics and  
5 advanced controls becoming a new general purpose  
6 grid element as fundamental as transformers and  
7 circuit breakers. So one of our views is that,  
8 you know, 20, 25 years from now the engineers who  
9 are building our grids then will wonder how we  
10 ever got along without the capability for fast  
11 bilateral storage and power electronics.

12 So that gives you an idea of what we're  
13 talking about there in terms of grid architecture.  
14 It is the application of system architecture  
15 methods to the grid using rigorous bases where we  
16 can for the structural elements as opposed to  
17 being sort of artistic in composing them. We try  
18 to have underlying fundamental mathematics so that  
19 we can actually understand the properties of those  
20 structures, predict what they're going to be and  
21 understand the potential interactions and provide  
22 ways for people to think about all of this in a

1 more powerful way than the traditional methods.

2 And that's why we take the view that the  
3 grid is a collection of interacting structures  
4 that helps us get at those things. I did not show  
5 you some diagrams that we created here but there  
6 are interaction diagrams that show how different  
7 changes, for example, the distribution level with  
8 penetration of DER can cause impact at the bulk  
9 system level.

10 So and the lesson there is that we have  
11 to be very careful about the way we reengineer the  
12 distribution level because we can create  
13 unintended consequences that go beyond just the  
14 local neighborhood level. So let me stop there  
15 and see if you have some questions.

16 CHAIRMAN COWART: Thanks very much.  
17 Questions? Let's start with Ake.

18 MR. ALMGREN: Yes, this is a question,  
19 all of this sounds very good. Is this available  
20 if I want to see and learn more? How would I do?

21 MR. TAFT: So the work that we did for  
22 DOE last year is available and I can provide that

1 to you. The more general information on the  
2 methods and so on, we're getting to the point of  
3 putting together some documentation on how we do  
4 this. We haven't published a book or anything.  
5 We've actually thought about doing that.

6 What we've done is we've gathered up a  
7 lot of material from a variety of sources. And  
8 so, we have all of that and we've added to it and  
9 organized it so we're getting to the point where  
10 we're about ready to start teaching the methods to  
11 other folks, too, but we've been sort of engaged  
12 in applying them ourselves lately.

13 So I can't point you to a single text.  
14 If you'd like you can -- we can talk afterwards,  
15 send me an email and I will get you some of the  
16 key references for where we get the information  
17 and where we derive the basic methods from.  
18 Eventually, though, we're going to have to create  
19 some sort of a reference manual or even get to the  
20 point of writing a book about how this is all done  
21 because we're starting to accumulate enough  
22 knowledge about this to have that as something

1       that we could actually do to be able to teach  
2       people. And we want to because we think there's a  
3       broad application for it.

4                 MR. ALMGREN: That would be great.  
5       Thank you.

6                 CHAIRMAN COWART: Paul?

7                 MR. CENTORELLA: Thank you, Jack. This  
8       is excellent work. So I wonder if you could share  
9       with us a little bit more of your current thinking  
10      about the coordination framework, in particular as  
11      we think about the grid going forward, we can  
12      imagine some devices that are operating  
13      autonomously, responding to local frequency or  
14      voltage. We can think about some devices that are  
15      sort of semi-autonomous. They get some  
16      information from an operator but then figure out  
17      themselves how to respond to that and other things  
18      that are more like conventional notions of  
19      distributed control.

20                And that creates a whole set of  
21      complexities as you've identified and how those  
22      things work together, what kinds of information

1 system operators can provide to those  
2 semi-autonomous devices and how you make sure they  
3 all don't fight one another. I'm curious what  
4 your current thinking is about all that.

5 MR. TAFT: Yeah, I was just going to  
6 back up to a slide here and point out a couple of  
7 things. So this is actually what I think is one  
8 of the largest problems that we face with grid  
9 modernization and why I said a few years ago  
10 people weren't thinking about coordination but all  
11 of a sudden it's on everybody's minds.

12 With the grid, it's especially complex  
13 just as you pointed out because we have such a mix  
14 of devices and systems and it's not just because  
15 we have legacy devices in systems. It's because  
16 we have the desire to have various kinds of  
17 operating modes for various devices.

18 And so, a lot of the mechanisms people  
19 tend to think about for how to operate all this  
20 stuff impose a pretty strict regime on those  
21 things and sort of give them only one way to be  
22 coordinated. That's a problem. And so, what we

1 were looking for was how do you resolve that issue  
2 and some of the principles that came out of our  
3 thinking about that are on here.

4 We talk about things like objective and  
5 constrained fusion but local selfish optimization  
6 inside global coordination. To actually do that,  
7 we turned to some work that originally started to  
8 my knowledge almost back in the late 1960s when in  
9 the control engineering field people were thinking  
10 about both hierarchical and distributed control  
11 and how to keep a disparate set of elements  
12 focused on solving a common problem.

13 And they actually called that  
14 coordination, there were sort of two classes of  
15 ways they do that, they were called decomposition  
16 and structural decomposition. So I sort of knew  
17 about that from my studies in control engineering  
18 and had almost forgotten about it. The Chinese  
19 paper that I mentioned to you actually made me  
20 think about that again and when I started to read  
21 what they were talking about, I found it more  
22 recently in the 2000s, people were looking at how

1 to be rigorous about network architectures and  
2 they had turned to similar methods.

3           So I started to investigate those  
4 methods that involved what's called layered  
5 decomposition and found that the potential exists  
6 there to be able to accommodate a variety of  
7 different criteria at each level of whatever  
8 structure you're trying to coordinate. So you can  
9 actually, in fact, formulate these things so that  
10 you have devices that are coordinated in different  
11 ways depending on their needs so that you can  
12 allow for their local constraints and their local  
13 optimization criteria and still have a minimum  
14 amount of highly scalable information that flows  
15 throughout that coordination framework.

16           So the mathematics is a little bit  
17 involved and if you want, I can share you with you  
18 some of the underlying papers that we drew upon to  
19 understand that. But it is one of the most  
20 crucial problems, I think, because if we go to the  
21 future that a lot of people envision where we have  
22 enormous numbers of devices that are going to



1 interact with the grid. We have no choice but to  
2 find a mechanism to solve that problem equitably  
3 for everyone and that means doing things like  
4 boundary deference.

5           That's a term you rarely will hear in  
6 terms of these architectures but it means you have  
7 to have a mechanism that respects the boundaries  
8 of systems and organizations. If you do not, if  
9 you think you're going to just run roughshod over  
10 those boundaries you're going to find out that  
11 that's not going to happen, right?

12           So you have to be able to have a  
13 coordination mechanism that can always be  
14 partitioned in such a way that when there is a  
15 boundary to be observed is capable of doing that  
16 and that ends up creating an interface and  
17 therefore a specification for what information  
18 flows there. The trick is you don't want it be  
19 forced to be the same everywhere in that  
20 structure.

21           And that's the hard problem and we think  
22 we have a good handle on how to get there. And

1 we've been doing some work with Steven Low at Cal  
2 Tech and Keshav and University of Waterloo and  
3 some other people about the basis for that and  
4 some work going on in our lab as well. So long  
5 answer to your question but really a key point.

6 MR. CENTORELLA: Great, and I look  
7 forward to seeing some of the papers.

8 CHAIRMAN COWART: Wanda?

9 MS. REDER: Yeah, really good work. I  
10 guess my question is kind of related to both of  
11 the other two prior ones in that, you know, how do  
12 we actually get this into practice? I'd like to  
13 talk a little bit about the distributed control  
14 architecture that's likely going to apply in the  
15 distribution side and how do we move that into  
16 industry? How do we kind of get those boundaries?  
17 What are the next steps?

18 I know there's books and teaching and  
19 all that that has to go with the tech transfer  
20 process but if you could expand on that, it would  
21 help.

22 MR. TAFT: So from my standpoint at the

1 lab our primary channel for doing that is the work  
2 that we're doing with the Office of Electricity  
3 directly in terms of expanding the basis for this  
4 type of architecture work and applying it as it  
5 needs to be. And also, you're probably aware that  
6 there is a proposal for a pretty large program  
7 called grid modernization effort. It's a  
8 multi-lab initiative.

9           There is a significant element in that  
10 proposal, in that work to do this kind of thing  
11 and both expand the architecture work and apply it  
12 as well. So that's sort of the mechanism that we  
13 see is how to move this forward significantly.  
14 It's largely through the efforts of DOE and the  
15 Office of Electricity in particular and then, the  
16 grid lab initiative, I mean, the grid  
17 modernization initiative over the next roughly  
18 five years.

19           CHAIRMAN COWART: I'm just going to come  
20 around the table this way. Anjan?

21           MR. BOSE: Jeff, you know I'm still left  
22 a little wondering as to what things we can do

1 with this model or whatever you call it, whatever  
2 you're producing. I mean, can I if I was a bench  
3 engineer in a power company, can I use this for  
4 something? Design my distribution system for  
5 example? Or you know, all models, you talked  
6 about models and you talked about engineering and  
7 I'm left a little puzzled as to which parts you  
8 can do and which parts you can't.

9 MR. TAFT: Oh, so a little bit of  
10 empirical data around that, one of the earlier  
11 versions of this work is a paper that is about  
12 ultra-large scale control architectures for the  
13 grid and we have done that work before I came to  
14 the lab. Since then, that's become a part of the  
15 work that we do at the lab.

16 We've had folks from the industry come  
17 and tell us that they use that as a template for  
18 some of the work they've been doing at places like  
19 PG&E for example. So we know that people have  
20 applied these models to think about their overall  
21 architectures and structures going forward. And  
22 that's one of the purposes to look at that and

1 say, okay, what does this tell me about how I  
2 should be building my systems and interfaces?

3 Elsewhere, we're doing work with the New  
4 York REV process and there we're helping them look  
5 at the implications of the kinds of structures  
6 they're considering and the way they're  
7 considering restructuring their distribution  
8 systems and their markets and understanding the  
9 interactions with their control systems there.

10 So in that case, it's a matter of  
11 helping them manage the complexity and understand  
12 the implications of what they may choose to do and  
13 then help them build some models for how it's  
14 going to look so that those can be analyzed in  
15 more detail. So there are multiple purposes for  
16 doing that and that's one of the things I was  
17 talking about early on is that it helps you  
18 understand the interactions and complexities.

19 It helps you think about how you want to  
20 structure things going forward. It helps you  
21 understand what constraints you need to remove  
22 possibly and ultimately it will help you design

1 these control systems, especially coordination  
2 frameworks for them. So in the work that we're  
3 talking about for the grid modernization, the  
4 control architecture, excuse me, the control  
5 engineering aspects of that work are closely tied  
6 to the architectural aspects. And what we expect  
7 to do is develop actual control system designs out  
8 of that that use these architectural principles  
9 and then are validated through traditional methods  
10 of simulation and test and so on.

11 So this is sort of looking at the  
12 overall structure of the system in the large and  
13 being concerned about when we do things with  
14 controls, how does that interact with the industry  
15 structure. How does that interact with ICT? What  
16 are the implications for regulatory?

17 It's that large picture and overall  
18 shape of the grid that we're mostly getting at and  
19 the control framework part of it is specifically  
20 aimed at, I mean, sorry, the coordination  
21 framework part is specifically aimed at helping  
22 the engineering of the distributed control systems

1 going forward.

2 CHAIRMAN COWART: Tim?

3 MR. TAFT: Finally.

4 MR. MOUNT: So this is -- yeah, finally.  
5 So this is very interesting stuff but my question  
6 is related to Anjan's and that is can you compare  
7 the sort of pluses and minuses of different  
8 systems? And I'm thinking of, and I hesitate to  
9 this as a New Yorker, I mean, has Texas got it  
10 right? You know, should we have small systems  
11 with weak interties as opposed to having the  
12 current sort of AC grid in the east run by lots of  
13 different people with very sort of peculiar rules  
14 about interties?

15 And would we be better off having a  
16 system where we have a lot of semi-self-sufficient  
17 micro grids that really can cut off from the big  
18 grid if it misbehaves?

19 MR. TAFT: So a part of the purpose of  
20 this work is to help give us ways to think about  
21 those problems and make those comparisons. And I  
22 didn't talk about it much here but an aspect of

1       this work is actually to be able to be  
2       quantitative about these architectures and to say  
3       we have a lot of competing views about how things  
4       should look. And how can we actually measure how  
5       different or similar, how can we measure how well  
6       they meet the intentions of the people who need to  
7       use them?

8                   Most architectures make that very  
9       difficult to do at an abstract level. So you have  
10      to get down all the way to specific designs and  
11      then do simulations or whatever on those designs  
12      and say, well, I can compare this design to that  
13      one. But if you're -- before you get to the point  
14      of committing to all that work to create designs,  
15      you'd like to be able to do that at a structural  
16      level. And so, some of the work that we're doing  
17      here is aimed at being able to formulate these  
18      things in a way that's rigorous so that you can  
19      say, all right, this arrangement with multiple  
20      neighboring micro grids works in these ways and  
21      has these limitations and these properties and  
22      this more hierarchical structure.



1                   Has these and actually be able to  
2                   compare them and get numerical results out of  
3                   them. So being able to do that involves some  
4                   things that are mentioned here, graph theory and  
5                   matrix methods and so on that are not typically  
6                   applied at the architectural level.

7                   That's part of the more theoretical  
8                   underpinnings that we've been working on so that  
9                   we can actually sit down and say this architecture  
10                  has for these reasons better properties than that  
11                  one. And I will tell you that one of the things  
12                  that I like to confound my architecture peers with  
13                  is something that we now know how to do which is  
14                  to say I can calculate the angle between two  
15                  architectures.

16                  But that means that we confirm it  
17                  mathematically and we know how to see how  
18                  well-aligned they are. And we actually can  
19                  calculate an angle value at a high dimensional  
20                  space. That's the only way we're going to get at  
21                  these at a high level otherwise we're always  
22                  forced to go down to specific design instances and

1       then, do the simulations, compare them there and  
2       that leads you to just an unbelievable number of  
3       options that you have to consider and that's been  
4       the problem, right?

5                So we're trying to make this -- handle  
6       this at a more abstract level so we can handle  
7       classes of problems and say, okay, we know this  
8       direction is relatively better than that  
9       direction. And we're making good progress with  
10       that I think.

11               CHAIRMAN COWART: Chris?

12               MR. SHELTON: I applaud the work. I  
13       think this type of work is some of the best work  
14       that we see at DOE. And I had several questions  
15       about the level of principle design that came out,  
16       I think, in a lot of your answers. But I do have  
17       a question about how much the current context that  
18       you represented in your slides, and maybe it's  
19       just the way the slides got put together, is a  
20       binding constraint?

21               And versus coming at it from a principle  
22       design of the overall problem set of delivering

1 electricity in a ubiquitous fashion. Can you --  
2 I'm sure that's something that you're having to  
3 deal with. It would be nice to hear about how  
4 you're dealing with that.

5 MR. TAFT: Yeah, you know, in the U.S.  
6 we have this situation that we have an enormous  
7 legacy, right? And utilities don't have the  
8 luxury of just shutting everything off for a good  
9 while and tearing it all down and building it back  
10 up again. And everybody's heard the standard  
11 analogy about it's like an airplane in flight and  
12 we're going to rebuild it and we're not allowed to  
13 land and all that.

14 So understanding existing structure is  
15 important because we have to make a transition  
16 from that to whatever we want it to be. If we  
17 were in a frontier nation, we could say, you know  
18 what? Let's just start from a blank sheet of  
19 paper and from rigorous principles and derive  
20 something that we think is right. Here we have  
21 the more complex problem of transition.

22 And so, we have to think about the

1 existing structures and a lot of the work that we  
2 did last year was in documenting existing  
3 structure and that was the request we had from  
4 DOE. What does it look like now in the way that  
5 you represent it? And what will it look like in  
6 certain views going forward?

7           And then, once you do that, you know,  
8 there's the old joke about navigation, the two  
9 most important things are to know where you are  
10 and where you want to go? It's hard to develop  
11 transition plans if you don't have those two  
12 things figured out.

13           So we have to think about the current  
14 structures and so, some of the stuff that we did  
15 is, in fact, that and some of the things I showed  
16 you are that. In the work that we did, we have  
17 some future views and I haven't shown much of that  
18 here because they were selected future views not  
19 the whole grid.

20           The work that we'd like to do going  
21 forward gets at the whole grid and the future  
22 views have to be multiple views because there's

1 not just one way to get there and given the  
2 diversity of our utility industry, there's not  
3 just one way that it's going to happen anyways.

4 So that makes the problem interesting to  
5 manage in the sense of multiple views of the  
6 future but they all have to take into account  
7 where we're starting from because otherwise we  
8 can't get those transitions done. So that's why  
9 we look at both and it's a complex problem to  
10 figure out what constraints do we have now that  
11 are really significant that we need to change  
12 because you'd like to have the minimum number of  
13 changes necessary to open up the future, right?

14 So rather than saying well, let's tear  
15 it all down and start over, we say well, okay, but  
16 if we understand structurally where the  
17 limitations are maybe we can just disconnect a  
18 couple of the dots and reconnect them and open  
19 things up and that's part of the challenge of this  
20 kind of work is to understand that. So that's why  
21 we have to look at the current as well as the  
22 future.

1                   CHAIRMAN COWART: David?

2                   MR. MEYER: Jeff, I want to go back to  
3 markets in relation to the architectural approach.  
4 Markets are where we've encountered many  
5 unintended consequences and I've listened to  
6 various people and just to see how they're  
7 reacting to some of the kind of material you're  
8 presenting. And some of them on the market side  
9 seem skeptical about can you really bridge from  
10 where you start into some of the challenges of  
11 market design?

12                   And so, I want you to elaborate a little  
13 on your thinking about how we deal with the  
14 interface here between physical structure and more  
15 market-oriented questions.

16                   MR. TAFT: So some of the work that we  
17 have done has been to show how existing organized  
18 wholesale markets and bulk system controls  
19 actually work together. It's quite remarkable how  
20 they do, in fact. There are variations in  
21 different places of California; ISO model is a  
22 little bit different than the New York model.

1                   It turns out that there are a small  
2                   number of people who actually know how that works  
3                   and a much larger group of people who actually  
4                   don't know how that works. And it's been  
5                   interesting in doing this work for me to talk to  
6                   market economists and ask them do you understand  
7                   how your market mechanisms influence the controls?  
8                   And ask the controls people do you understand --  
9                   because I will ask the controls people are these  
10                  markets inside or outside of your control loops?

11                  And a lot of times they don't know.  
12                  There are some people who know but not very many.  
13                  So when you start to think about that, those kinds  
14                  of things need to be illuminated and after a while  
15                  when I talked to some of the market folks, they  
16                  start to go, okay, I didn't actually really  
17                  appreciate that and they begin to see the value.  
18                  But it takes a while first because traditionally  
19                  market design hasn't thought about that.

20                  And you know of the history of  
21                  California ISO, the first time they put the  
22                  markets together they didn't think much about that

1 and they ended up with all kind of congestion  
2 problems and that's what led to the development of  
3 locational marginal pricing. That was bringing  
4 the physical system back into the arrangement.

5 But it's more intimate than that. These  
6 markets, the 5 and 15-minute markets are actually  
7 inside the control loops for secondary control for  
8 the generators and tertiary control. So there are  
9 dynamics issues there that have been worked out  
10 pretty well at the bulk system level but at the  
11 distribution level, if we create new markets,  
12 there's the possibility that the dynamics are  
13 going to be considerably faster and that we won't  
14 have the type of system inertia which stabilizes  
15 our systems at the bulk system level.

16 So those are terms that the markets  
17 folks aren't used to hearing, system inertia and  
18 stabilization and stuff like that. When they  
19 start to understand why that matters, then they  
20 begin to realize that maybe they're going to need  
21 to have some partners from the control side.

22 When the control system folks begin to



1 realize that those markets might actually have an  
2 influence on system stability they get very  
3 interested in what's going on. And that's the  
4 beginning of that conversation and then, the  
5 question is how can we each understand what's  
6 going on here? And that's part of the purpose of  
7 this work.

8           So it's been traditional that those have  
9 been two separate communities and only a small  
10 number of people who are responsible at some level  
11 with putting this together have actually seen how  
12 it goes together. But we need much wider views of  
13 that because we're about to try this on a much  
14 wider scale at the distribution level than in a  
15 handful of markets at the bulk system level.

16           It's a pretty important issue to  
17 understand. We could create some awful problems  
18 if we aren't careful here. By the way, we made  
19 that point with the New York REV people and the  
20 first time I presented to them we talked about  
21 that.

22           And I started them in more detail some

1 of the things I've shown you here especially about  
2 markets and controls and for a lot of them that  
3 was kind of an eye- opener. And so, they started  
4 thinking about that and began to realize that  
5 actually there are maybe some considerations that  
6 they need for that, too. And some of that's going  
7 to require some analytical work as they start to  
8 formulate how they really want it to be, there'll  
9 be a need for some analytical work to ensure that  
10 those things are going to function in a way that  
11 they expect so that we don't have another oops, we  
12 should have had a locational marginal pricing  
13 situation develop.

14 CHAIRMAN COWART: And since we need to  
15 move on, Carl, I think you're the last question.

16 MR. ZICHELLA: Well, luckily, Jeff, you  
17 answered most of my question in your last two  
18 answers for Chris and David. But I'm also and I'd  
19 look at what you've been talking about,  
20 ultra-complex systems, it seems like some of the  
21 solution to where we need to be headed is to have  
22 systems that are not unnecessarily complex.

1                   And to reduce complexity when necessary  
2                   and this goes into the markets question, too,  
3                   because when you have 38 different balancing area  
4                   authorities in the Western interconnection all  
5                   controlling part of the grid and you don't have an  
6                   organized market that's -- and they're all  
7                   functioning bilaterally, that's an unnecessary  
8                   complication that helps, that actually hinders  
9                   rather, that transition that we're seeing.

10                   That is happening in real time. So I  
11                   don't know if that requires a response or not but  
12                   it certainly struck me when I was listening to you  
13                   that what we've intuitively thought for a long  
14                   time, when you start to lay it out in an  
15                   architectural sense, it really starts to leap out  
16                   at you.

17                   MR. TAFT: Yeah, what I was looking for  
18                   here, the second principle here, essential  
19                   functionality drives complexity not architectural  
20                   elegance. The issue here is we don't want to make  
21                   it any more complicated than it has to be to do  
22                   the job. There are times when people get carried

1       away with that and more often, though, because our  
2       systems are so large and diverse and involve so  
3       many different entities and stakeholders, I think  
4       some of that complexity has, in a sense,  
5       accidentally evolved because of sort of silo  
6       development and so on and people saying, well, I'm  
7       going to deal with the constraints as I see them  
8       instead of saying maybe we take a systematic  
9       approach to this and make a few changes across  
10      here and there and get all (inaudible).

11                So having these large-scale views is  
12      important because we're getting to the point where  
13      that kind of incremental approach is just becoming  
14      more and more difficult. And you pointed to a key  
15      example of that. Looking at this in the whole and  
16      looking at the overall structure and saying, now,  
17      where could we relieve some constraints here with  
18      minor structure changes is a key issue for this  
19      kind of work.

20                MR. ZICHELLA: Yeah, it's like we've  
21      designed the western grid like a house that we  
22      just kept adding rooms to. We're not sure if

1       there's much of a flow between them but they're  
2       all there and everybody's who's helped build those  
3       rooms are very attached to them.

4               MR. TAFT:   So I have a different  
5       presentation that talks about architecture in the  
6       sense of first of all, where do you start first if  
7       you're going to build a house?  Do you pick up a  
8       shovel or a pencil first?  And my dad told me when  
9       I was a kid talking about these and I know some  
10      guys that try to hang the windows first.

11              But later in the presentation it says,  
12      with good architecture we get things like the Taj  
13      Mahal and various famous buildings.  With the  
14      incremental approach, we get the Winchester  
15      mystery house which if you've ever seen that  
16      thing, it was built by an eccentric person and  
17      just has staircases to nowhere and all kinds of  
18      peculiarities.

19              It's a museum now but that's what can  
20      happen.  And to some extent because our systems  
21      grew organically with so many different parties,  
22      we have some of that kind of legacy in there and

1       this is a good opportunity with grid modernization  
2       to think about those issues and say, where can we  
3       make those changes that are minimal but would  
4       really relieve these constraints and make this all  
5       work better?

6                   And reducing the complexity is always a  
7       good thing. One of the things that we've been  
8       doing in the architecture work is complexity  
9       measure so that we could actually get a handle on  
10      that early on, the idea being to do exactly that  
11      minimize the complexity.

12                   CHAIRMAN COWART: All right, thank you  
13      very much. Appreciate it. Wanda, I think you're  
14      next.

15                   MS. REDER: Okay, the next thing on the  
16      agenda is the smart grid subcommittee report out.  
17      So we've got three major pieces that we're going  
18      to talk about today. The first one is Clark and  
19      we've all been working on the R&D paper and we  
20      need an action from the committee for approval.  
21      So oh, David Till, what's that?

22                   Anyway, Clark, go ahead. Clark's got

1 some slides on this. I know that many of you  
2 participate in a survey certainly have looked over  
3 this paper so he's going to go through that and  
4 then, Carlos is going to follow up with the  
5 distributed energy storage work that's been a  
6 joint piece between the storage group and smart  
7 grid and I'll follow up after that with ARE  
8 comments. Clark?

9 MR. GELLINGS: Thank you, Wanda. About  
10 almost four years ago, a group of us in the smart  
11 grid subcommittee decided it might be a good idea  
12 to at least elucidate what we think are some of  
13 the R&D needs surrounding technology.

14 Why did we do this? It wasn't because  
15 we thought our friends at DOE didn't understand  
16 what the technology needs are. They certainly  
17 understand them very well. But everything we do  
18 at the EAC is in the public record and we were a  
19 little concerned that the predominance of what was  
20 being discussed related more to smart meters than  
21 it did to really the overall functionality that we  
22 all envision in some way, shape or form might be

1 part of the power system of the future.

2           So we started with a paper, like I said,  
3 just about four years. And remember that in this  
4 process the members of the committee changed  
5 several times. The members of EAC changed as  
6 well. So we identified first the other sort of  
7 intelligent electronic devices that, you know, the  
8 digital stuff that would be more related to smart  
9 grid than the physical hardware that might also,  
10 of course, be part of a modernized power system.

11           But as the committee membership changed  
12 and more and more people contributed, the paper  
13 grew. And it grew to the document that you've  
14 received in your email which is rather  
15 substantive. And actually, by its growth, it  
16 forced us to move a bit away from any specific  
17 recommendation. So what we really have more than  
18 anything is a nice catalogue of what some of the  
19 technologies are that one might consider as part  
20 of a modernized power delivery system.

21           Now, given that, we wanted still to --  
22 desperately to give at least some advice to DOE



1 about whether we see anything in that portfolio  
2 that we think ought to come to their attention.  
3 So what we did is we conducted a survey that  
4 almost every one on EAC participated in and you  
5 have all the results of that survey but I'm just  
6 going to quickly mention a few. I'm not going to  
7 show you all the charts. You have them. I hope  
8 you can read those.

9           So we asked you a number of questions  
10 and asked you to rate a few things from low to  
11 high with number one being highest. And we show  
12 you here the mean and the standard deviation as  
13 well. And first, we suggested that if were, as we  
14 considered in the paper, five areas of technology  
15 that DOE might work in, being transmission  
16 substations, distribution, things beyond the  
17 customer's meter, customer assistance if you like,  
18 we can find other labels for this, cyber security  
19 since that came up so often in our discussions,  
20 and various communications technologies and I  
21 know, we all know, overlap and so on and you  
22 really have to look at the text to see what we

1 intended when we identified these.

2 And we asked which is the highest  
3 priority? And I just thought I'd quickly share  
4 with you some of the results. And these are not  
5 definitive and we're not turning back to DOE and  
6 saying, you know, well, here obviously this is a  
7 conclusion because it can't be an obvious  
8 conclusion with this kind of deviation in the  
9 response. But there's some interesting data here.

10 You rated distribution as the highest  
11 given these categories. We also asked you  
12 regarding the importance of DOE being active over  
13 a range of technology readiness levels, I didn't  
14 define TRLs here but I intended it in the context  
15 of the NASA definition of TRLs. I grouped those  
16 into four which, by the way, we've done in some  
17 national academy work elsewhere so it's a  
18 legitimate grouping but one being research and  
19 discovery. The second being innovation and  
20 development, the third being demonstration and the  
21 fourth being commercialization and ultimately  
22 diffusion.

1                   And I think we roughly know what those  
2                   mean although, obviously, again, we probably could  
3                   have some debate about the difference between a  
4                   few of those categories as you move from one to  
5                   the other. But the thinking basically is that a  
6                   technology, something new and shiny, moves from  
7                   the lab and somebody does something with it that  
8                   formulates it in a way that it can be applied,  
9                   demonstrated and then, ultimately, the hope is if  
10                  it's useful to be somehow put in the marketplace  
11                  and adopted and used.

12                  And in this case it was, you might think  
13                  interesting despite all of our talk about  
14                  demonstration and commercialization that we think,  
15                  collectively, we think the focus for DOE should  
16                  still be more on the front end. We hear a lot of  
17                  dialogue about that of course.

18                  Then how much money of the budget would  
19                  you associate with each of those categories? And  
20                  pretty much, I think that one conclusion from this  
21                  is that perhaps DOE shouldn't spend very much of  
22                  their money on the commercialization and diffusion

1 even though that, as we've already heard in the  
2 discussions yesterday, is certainly a problem area  
3 for us in terms of getting any of these  
4 technologies realized.

5           Then we asked a number of questions  
6 about which applications should receive the  
7 highest priority and I'm not going to show you all  
8 these charts. I'll just show you this one which  
9 was relative specifically to the smart grid and  
10 there's some indication here that you could say a  
11 little bit of a consensus around distribution  
12 automation as being the highest priority.

13           Some of the others that were mentioned  
14 were PMUs and you have to look at the definition  
15 here. It isn't the PMU itself but it's the  
16 applications of the PMU data more than anything.  
17 Obviously, electric energy storage. I've already  
18 said distribution automation but it came up again.

19           Next generation integration referring  
20 here to solving this very problem of how, in fact,  
21 do we get to an integrated grid. We've got these  
22 resources that are central. They're not going

1       away. Certain central resources are increasing.  
2       What do we do with the increase in distributed  
3       resources?

4                 Is the optimal for society some other  
5       architecture? Jeff, if you don't mind? And then,  
6       finally, PV inverters and here it was intended, I  
7       believe that these are, if you will, advanced PV  
8       inverters. The recommendation that came out of  
9       this, this is the only specific recommendation in  
10      that document is that DOE convene interactive  
11      sessions involving all stakeholders.

12                They do this already, all right? And  
13      so, this is a nudge, a suggestion that gee, you  
14      should convene sessions involving all the  
15      stakeholders relative to these technologies and it  
16      probably would be grouped by technology area. And  
17      use that as a forum to discuss options, paths and  
18      potential collaborative programs that DOE might  
19      engage in. DOE cannot do all of the things that  
20      we outlined in this paper even though we might  
21      like them to, the budget would have to be  
22      enormously larger than it is now.

1                   Maybe perhaps some of the verbiage in  
2 here would be useful. We did try to address some  
3 questions in this document such as why should DOE  
4 do it? Why shouldn't the industry do it? And  
5 you'll see some paragraphs in there that relate to  
6 this.

7                   So I don't know, Rich, the best way to  
8 handle this. So what we're asking, this turns  
9 itself into a memo from us to DOE if you approve  
10 it. So I'm going to ask for you to approve this  
11 but, Rich, do you want to have some discussion  
12 first?

13                   CHAIRMAN COWART: Well, let's first --  
14 well, in fact, I'm going to construe you've just  
15 made a motion.

16                   MR. ZICHELLA: Second.

17                   MR. GELLINGS: I just made a motion.

18                   CHAIRMAN COWART: Is there a second?

19                   MR. ZICHELLA: Second.

20                   CHAIRMAN COWART: All right, could we  
21 have that recorded? I just -- all right, now,  
22 let's have discussion on the motion. Are there

1        comments, questions people have about the  
2        document? All right, I hear no discussion.

3                    I think quite a number of members of the  
4        committee have had the opportunity to be involved  
5        in preparing it, looking at it over the years.  
6        It's been under discussion and I would like to  
7        add, by the way, my congratulations to the  
8        drafters for, and particularly to you, Clark, for  
9        bringing this home and it actually does exactly  
10       what you said. It's a long memo from us to DOE  
11       supporting the DOE R&D efforts and explaining why  
12       quite a number of them are not likely to be  
13       performed by other institutions and therefore, why  
14       this is an important endeavor for the good of the  
15       country and I want to thank you for it.

16                   MR. GELLINGS: I appreciate that.

17                   CHAIRMAN COWART: Yes, Wanda?

18                   MS. REDER: The only other thing I would  
19        add, I mean, it was a tremendous amount of work  
20        and I think it's a really good piece of work but  
21        the interesting thing to me, on top of it, was  
22        kind of the perspective that the survey added. I

1 thought it was a really neat way to kind of  
2 extract our collective thinking on  
3 prioritizations. So that might be a tool for  
4 other things going forward.

5 CHAIRMAN COWART: Good point. Are you  
6 ready for a vote? Anjan?

7 MR. BOSE: Just a question. You  
8 presented the survey, Clark, but the report  
9 actually, the recommendations in the report is  
10 more than that.

11 MR. GELLINGS: That's true.

12 MR. BOSE: You got a full plate of --

13 MR. GELLINGS: I tried to cut to the  
14 chase with these few words here. In essence is  
15 the action that we're suggesting on DOE's behalf.  
16 The suggestions are much broader. The suggestions  
17 include words like expand, enhance, develop and so  
18 on, yes.

19 MR. BOSE: So what I was going to raise  
20 was, I mean, I read this one and I fully agree  
21 with everything in it. We've worked on it  
22 together but I'm wondering how this fits into what



1 we heard yesterday with all the things in QER and  
2 QTR and the presentation from the labs. And I  
3 mean, even if we pass it and I think we ought to,  
4 this recommendation, we need to kind of reconcile  
5 or help reconcile, the EAC should help reconcile  
6 some of the things that have gone on other than  
7 this process.

8 MR. GELLINGS: That's for me to answer?  
9 All right. And actually it's embodied in the  
10 first bullet there which is to suggest, we have a  
11 significant diversity among the EAC members. But  
12 by no means significant enough of, for instance,  
13 if we want to talk about, oh, I don't know. Let's  
14 take FACTS. You've got three or four people  
15 around the table who understand, really understand  
16 FACTS and what the technology is, what the details  
17 of a FACTS control system, a cooling system and so  
18 on.

19 All of the problems that we've had with  
20 Inez or Marcy or any of the other FACTS  
21 installations, the EAC, as a group, would have  
22 difficulty in driving down to that level of

1 detail. So we really have to break the problem of  
2 exactly what you do, which options for  
3 development, how you pursue development, we have  
4 to break that into pieces.

5 And so, the best way we thought is to  
6 get the relevant stakeholders for groups of  
7 technology together. And that's essentially that  
8 recommendation.

9 MS. HOFFMAN: Anjan, in response to your  
10 comment, I think internally to the building, we  
11 are trying to figure out we have to do some  
12 coordination and alignment with respect to where  
13 the grid modernization lab consortium is heading.  
14 And there are five topics or six topics in  
15 priorities there. So we're actively working that  
16 issue.

17 I don't think that should slow any sort  
18 of efforts because we're going to be going through  
19 that process anyways and there's a lot of  
20 discussion internal to the organization of how do  
21 we work that translation. So I think we'll get  
22 there. The important thing is just to get some of

1 those priorities on the table.

2 CHAIRMAN COWART: Any further  
3 discussion? I take it we're ready to vote. All  
4 those in favor of approving the report, please  
5 say, aye.

6 ALL: Aye.

7 CHAIRMAN COWART: Are there any opposed?  
8 All right, it's adopted unanimously. Thank you  
9 very much, Clark, and the subcommittee as a whole.

10 (Motion passed and memo adopted  
11 unanimously.)

12 MS. REDER: Carlos is going to present  
13 the distributed energy storage work.

14 MR. COE: Well, good morning. So a  
15 series of us from the smart grid subcommittee and  
16 the storage subcommittee have taken sort of an  
17 interesting task. And that's to look at  
18 distributed energy storage. And the first part of  
19 this process is to define what we mean by  
20 distributed energy storage.

21 And we've defined that as anything  
22 that's at the substation or south of the

1       substation and even behind the meter. And then,  
2       we recognize that this effort also interacts in  
3       the DER space. So this is a very interesting  
4       dynamic, part of this business and one thing, I'm  
5       sorry, I didn't realize I was the slide holder  
6       here.

7                 But then we'd also conclude things like  
8       thermal energy storage potentially as well as  
9       micro grids. And when we look at the scope of the  
10      white paper, the scope is intended to look at an  
11      all-inclusive aspect of this including markets,  
12      regulatory, interconnect, the status of technology  
13      and applications in this area, benefits, the  
14      market benefits or the value of this category.

15                We've also, through this discussion,  
16      added a section on codes and standards. That's  
17      another area that we thought would add to this  
18      white paper. And then, we've decided to also add  
19      appendixes to this, a DER appendix which would  
20      look at not just DER but also EB applications in  
21      this space. And the purpose and goal of the white  
22      paper is to basically identify gaps and

1        recommendations to DOE of areas that we think DOE  
2        could participate in.

3                    And when you look at the DES space, a  
4        good way to look at this is, for example, look at  
5        a project list and this map shows the existing  
6        project list and this map dates back to second,  
7        third quarter of last year. If I updated this  
8        chart to today, you would see that this map would  
9        be more highly populated with projects. So this  
10       market is changing rapidly.

11                   In fact, when we were talking about  
12        writing this white paper, we're trying to take a  
13        snapshot of a motion picture that's in process.  
14        And from the time that we've started this process  
15        to today, the market has changed rapidly. And, in  
16        fact, actually if you've seen market projections  
17        in this space, it has shown that this market is  
18        expected to, in essence, explode over the next  
19        5-10 years.

20                   In putting together the white paper, we  
21        decided to not just leverage our own experience,  
22        our own committee's experience of this but we also

1       decided to basically do expert interviews. And,  
2       in fact, I'm going to suggest that this might be  
3       like Clark's survey process. I was going to  
4       suggest that this might be an effective way to  
5       capture the essence of what we're looking for.  
6       And these expert interviews we were, I'll call it  
7       this was an open interview format and in the  
8       interview format we covered a series of I'll call  
9       it set questions but we also allowed the experts  
10      to freely discuss the market as they saw it,  
11      market and technology.

12                 And if you look at the list, we spin all  
13      the way from market participants, actually people  
14      that are involved in the DES market to those that  
15      are utility space all the way to the ISOs and so  
16      forth. And from this group of experts, we got an  
17      interesting set of information. And I would like  
18      to just qualify what we're talking about up here  
19      that this is the observation recommendations from  
20      the expert interviews.

21                 This does not include the inputs from  
22      the other committee members. But some of the

1        recommendations, observations they made included  
2        that the market, as we talked about, is developing  
3        very rapidly. In the next few years this market  
4        is going to double and triple in size. What's  
5        missing in this space that places where DOE could  
6        participate is in development of market models.

7                So if you look at market models, market  
8        models are limited even in the bulk side of this.  
9        If you look at the distribution side of the  
10       market, that's completely a new space. So new  
11       market models, new market mechanics are needed.

12               Also physical models, one of the great  
13       things that I think in -- looking -- what I heard  
14       from Jeff was the idea of being able to look at  
15       this system space multi- dimensionally which is, I  
16       think, a key aspect of what's needed. But those  
17       models need to extend all the way down into the  
18       distribution system.

19               And that includes how do you control  
20       these things? So, for example, do we look at  
21       central control to local control? I think the  
22       other terminology I liked that Jeff mentioned was

1 coordinated control but also the development of  
2 codes and standards that are addressing this area.

3 And that includes codes and standards  
4 that are set on I'll call it the risk that these  
5 devices may entail. And I'll give an example.  
6 Like, for example, if you look at behind the meter  
7 applications of DES, the codes and standards for  
8 those devices would look very, very differently  
9 than, for example, the standards that would occur  
10 if you were at the substation level.

11 The other piece that came out of it was  
12 the development of interconnect standards that  
13 provide, I'll call it, open access for these  
14 devices. Excuse me. And a common terminology  
15 that we heard was the idea of a plug-and- play for  
16 behind the meter applications.

17 Now, obviously, that's an interesting  
18 concept but I do think that when you look at  
19 interconnection standards, particularly behind the  
20 meter, they should fit into the category of almost  
21 like IEEE or UL kind of standards. And this white  
22 paper will also include or suggestions that came



1 out of this study or the interviews were micro  
2 grid development and advancement. That  
3 terminology came up over and over in the  
4 discussions with the experts.

5 So when you look at our work plan, our  
6 work plan is that we've pretty much completed the  
7 expert interviews. We have a few more to do to  
8 fill in a few gaps. We've begun drafting the  
9 sections of the white paper. We're also in the  
10 process of developing the gap analysis and the  
11 draft recommendations for DOE.

12 And the goal of this is complete a draft  
13 by the June meeting and a final version of this  
14 hopefully by the September meeting.

15 CHAIRMAN COWART: Thank you. Questions,  
16 comments on how this is going? I have one  
17 question concerning sort of the scope of the  
18 paper. I know there was conversation about  
19 whether thermal storage or one-way EV charging  
20 should be part of it or whether or not. And it  
21 sounds like you're sort of in the middle where you  
22 at least define thermal storage as a form of

1 storage, energy storage.

2 But you didn't include that topic in  
3 your detailed analysis and the expert interviews.  
4 Is that where it stands?

5 MR. COE: Yes, our original scope was to  
6 look at electrical power in, electrical power out.  
7 That was our original scope. As we looked at that  
8 scope, we identified that we need to look at how  
9 these devices play in the DER space. So we added,  
10 I'll call it, a DER appendix and then, that  
11 appendix would include other DER devices like  
12 thermal storage.

13 When we looked at electric vehicles  
14 topic, it was interesting. Remember these  
15 interviews were free-format interviews. So the  
16 experts were allowed to bring up any of these  
17 topics that they wanted. What was interesting in  
18 the discussions, very, very few people, almost no  
19 one brought up electric vehicles which was quite  
20 surprising.

21 I think as we look at adding to the  
22 expert interviews, we'll add a few more DER

1 experts to that list and then, we'll add at least  
2 one expert on the EV interconnection aspect. And  
3 those interviews should take place between now and  
4 June.

5 But I think looking at those appendixes  
6 to the main white paper just allows us to maybe  
7 build a basis for maybe some future work both in  
8 the DER space as well as integration of electric  
9 vehicles.

10 CHAIRMAN COWART: Yes, it seems as  
11 though the selection of the experts to be  
12 interviewed would have great bearing on the kind  
13 of topics that they naturally bring up. And I  
14 appreciate the answer. Any other comments or  
15 questions? Pat?

16 MS. HOFFMAN: One of the things that  
17 I've been hearing is that at least from the  
18 storage community is, and it goes under the  
19 applications, is the use cases and how to get some  
20 standardization and look at the system integration  
21 issues. Because it's not necessarily the device  
22 itself, it's all the work around how you integrate

1 that into an application. And if there was a way  
2 to reduce the one-off kind of every site has to be  
3 analyzed and over analyze -- you know, individually  
4 recognizing that there is going to be that.

5 That's going to occur anyways but if  
6 there's a way to focus that a little bit, I think  
7 that's probably going to be another aspect of this  
8 that is going to either bring storage forward or  
9 it's going to keep it in a very limited  
10 application.

11 MR. COE: I think the section that we  
12 envision to address this in the codes and  
13 standards piece of this and addressing the  
14 interconnect requirements. And the goal of it  
15 would be to develop a standard set of interconnect  
16 requirements that would fit all regions of the  
17 country. And then, that way just like you have UL  
18 standards for appliances, you would basically  
19 treat this as an appliance in a sense that  
20 certainly behind the meter.

21 The same level of care could be done for  
22 things between the substation and ahead of the,

1 I'll call it, ahead of the meter, you know,  
2 applications. And some of that work has already  
3 been done. Some of that work has been done by  
4 DOE, people like KEMA, EPRI. So there's a good  
5 basis of work for the interconnect standards at  
6 the, say, the substation level. But that kind of  
7 work has not been done sort of behind the meter.

8 And so, that would be one of the  
9 recommendations that would come out of this that  
10 those same kind of modeling and testing and all  
11 then develop a standard spec for behind the meter,  
12 it would be one of the, I would say, would be one  
13 of the recommendations that come out of this.

14 CHAIRMAN COWART: Thanks very much.

15 MS. REDER: I'll give you a few comments  
16 on the ARRA piece now. Okay, as you're probably  
17 well aware, we're in the fifth year of the ARRA  
18 effort which included about \$9 billion on 131  
19 projects. So the intent of this piece of work is  
20 to give the EAC's reflection of that.

21 The intention is to get it done and  
22 provide it back to DOE before their final paper is

1 submitted or final synopsis of this work. So the  
2 deliverable has to be in the early fall.

3           Essentially what we want to do is cover  
4 the things like the background technology lessons,  
5 advantages, successes certainly of which there are  
6 many. It's not intended to really overlap and  
7 duplicate but just give a kind of a high level on  
8 our reflections.

9           Some of the early ideas is we know that  
10 it expedited some of the technology adoption. We  
11 learned a lot in terms of organizational  
12 development and skills and kind of advancing grid  
13 modernization, building up standards around this  
14 effort. Not that it's done but it's certainly  
15 expedited the process and we want to make sure  
16 that we acknowledge that.

17           I think, though, what we really want to  
18 do beyond kind of putting a stamp on where we are  
19 today is say okay, so now what? How can we  
20 further leverage this? Where do we go from here?  
21 And I actually see more of the writing along these  
22 lines than it is kind of in the rearview mirror.

1           In the chunks of areas where we're  
2           leaning towards writing around is the capability  
3           or capacity building, technology, performance,  
4           business case, system integration, standards,  
5           development and then, maybe some high-level  
6           recommendations. So the items that are coming  
7           forward now, and again, this is pretty early  
8           discussion but it gives you a flavor of the kinds  
9           of things we've been talking about.

10           On the capacity building or being  
11           nimble, being dynamic, making sure that the  
12           marketplace is viable in that respect. We know  
13           that the planning analysis and operational tools  
14           are in need. We've talked quite a bit about that  
15           as is the communication capability continues to  
16           evolve and electronics capability.

17           I don't think any of this is really new.  
18           We've continued to talk about these themes for  
19           quite a while but the idea is to get it in one  
20           place. If we could reference work that we've  
21           already done, so be it.

22           On the business case development,

1       there's still work to be done there across a lot  
2       of fronts. I think we've learned a lot. This  
3       information can kind of build into further work  
4       but certainly there is frameworks that are needed  
5       to kind of link investment decisions with society  
6       objectives.

7                 I think Paul's paper brought that out  
8       pretty clearly and we might just reference that  
9       along with metric advancement, market development  
10      and such. Systems integration, back to Pat's  
11      point earlier, you know, a lot of this was kind of  
12      developed around technology silos and we think the  
13      next iteration is really going to look at it much  
14      more holistically so that would be a next logical  
15      step.

16                Also we know that the consumer aspect  
17      kind of needs to be brought in and more seamlessly  
18      integrated with the grid aspect. So there's still  
19      gaps that reside there that need some ongoing  
20      attention. Micro grid standards, planning tools,  
21      testing methodologies and then, of course these  
22      islands of technology which I just referenced.



1           Standards and policies, we've made some  
2           good progress but there's a lot more that's left  
3           to be done and that kind of wraps us up then with  
4           some recommendations. Right now, we're looking at  
5           recommendations along the lines of demonstrating  
6           the advanced integration elements so that it's  
7           more holistic than just kind of pockets of  
8           technology.

9           We've talked about these tools and  
10          really kind of needing to take it to the next step  
11          to enable both the planning and the operations  
12          pieces especially in a federated system that  
13          includes distributed architecture. I think Bob  
14          Curry actually brought up the metrics piece  
15          yesterday.

16          We know that there's metrics and methods  
17          around analysis that can continue to be refined  
18          and developed to actually get us all on the same  
19          understanding for success, common language.  
20          Another piece is how we do actually transition  
21          this technology as it goes through the different  
22          phases? And the labs are up here but I think it's

1 a broader discussion than that.

2 And actually, it was highlighted pretty  
3 well yesterday in some of the discussions that we  
4 had early. And the last one, of course, is  
5 connecting this work with the grid modernization  
6 part. It's not like, okay, we're putting a bow on  
7 that it's gone and now we're on to the next.

8 It really is an evolutionary process and  
9 we need to leverage the findings lessons and that  
10 kind of thing. So that's what we see and in terms  
11 of kind of the sequence of events, we have a panel  
12 as soon as we wrap up with break here which the  
13 intention is to not only learn what they did but  
14 also try and understand where they're going with  
15 these lessons and technology. And that will feed  
16 into the paper.

17 We need people to help draft so we'll be  
18 circulating a piece of paper to try and recruit  
19 some additional help here. But after this panel  
20 and some inputs we're going to get quickly working  
21 on further drafting and aim to have the  
22 recommendations in the July/August timeframe so

1 that we can get it submitted in a timeframe that's  
2 meaningful.

3 Any questions or input? Okay, then,  
4 thanks.

5 MR. MORRIS: Thanks, Wanda.

6 CHAIRMAN COWART: All right, we're back  
7 on time. Off by just five minutes. I'd like to  
8 take about a 10- minute break. We're through with  
9 the smart committee report? All right.

10 (Recess.)

11 CHAIRMAN COWART: All right, we need to  
12 get going again. If committee members would  
13 please take their seats? Just please take your  
14 seats. We're ready to go.

15 MS. REDER: Okay, as I mentioned earlier  
16 this panel is a springboard for our paper and Hank  
17 Kenchington is going to be the moderator. So I'll  
18 just turn it over to Hank.

19 MR. KENCHINGTON: So I guess we'll just  
20 have our panelists come on up. Craig? Yeah, I  
21 was going to say some name tags there. Good  
22 morning, good morning all. Good morning.

1           Yeah, yeah, let's wake up. Okay. Let's  
2 get things rolling here. Okay. So this morning  
3 we want to talk about the smart grid and what was  
4 accomplished under the Recovery Act going back as  
5 Wanda was saying about five years now. We've got  
6 some great panelists, boots-on, hands-on  
7 experience here.

8           We want to talk about what's been  
9 accomplished, what are some of the challenges and  
10 mainly, we want to talk about some of the lessons  
11 learned and how do we leverage these investments  
12 going forward? So to get it kicked off, I want to  
13 start with just maybe a little background. Take  
14 you back five years.

15           This is going to be a painful journey.  
16 These are some charts here and we look back at  
17 2009. Top left is the industrial production and  
18 relative to 2007 on the left was 100, and 2009,  
19 March of 2009 when the Recovery Act was signed  
20 into law which was about 140, excuse me, \$840  
21 billion of that \$4.5 billion was designated for  
22 smart grid investments.

1                   But you can see the low point. It was  
2 right at the low point there in the industrial  
3 production, the monthly employment net gain and  
4 loss, big steep drop there. And I added the DOW  
5 Jones industrial curve which is again amplifies  
6 the situation.

7                   So things were not in a very good state.  
8 And looking from where we were to where we are now  
9 reminds me of personal experience when I was  
10 working on my yard one time, a lady came by and  
11 said it's not the heights to which you have  
12 arisen, it's the depths from which you have come  
13 that are so impressive. So I think we've come a  
14 long way.

15                   But so just to frame the issue just a  
16 little bit more, we had \$4.5 billion, 3.4 billion  
17 went to the direct deployment of technologies and  
18 smart grid investments. 620 million to a  
19 demonstration program and then, realizing that the  
20 grid modernization is more than just technology.  
21 There's also planning and other policies that need  
22 to be addressed to effectively move the process

1 forward.

2 We provided the funds for a workforce  
3 training, over \$100 million for that. Some  
4 transmission planning, we probably had actually 12  
5 million. This says, yeah, it's 12 million to NIST  
6 to start up interoperability work which is ongoing  
7 today. That panel has actually been now been  
8 privatized and provided assistance to states and  
9 also for energy assurance planning.

10 Our strategy from the beginning, we  
11 realized \$4.5 billion while it sounds like a lot  
12 of money it's really just kind of a drop in the  
13 bucket when we talk about infrastructure spending.  
14 What we wanted to do is find a way to deploy these  
15 technologies in a way that we could continue and  
16 develop kind of a virtuous process where we could  
17 encourage to have ongoing grid modernization. So  
18 we want to deploy the technologies, measure the  
19 benefits so we can help build the business case.  
20 That would help inform folks like state and public  
21 utility commissioners and other utilities who want  
22 to make these kinds of investments. Who would

1 then go forward with and continue to modernize the  
2 system.

3 And that was our strategy. The  
4 projects, as you see, are all across the U.S.  
5 These are just the smart grid investment grant  
6 projects which was 99 projects. But there were  
7 subprojects under those. So for a total of 228  
8 utilities that were involved.

9 Today, where are we today? This is  
10 January 12th. We're fairly complete in the  
11 deployment of the technologies. I think, well,  
12 over 96 of 99 projects are more than 70 percent  
13 complete. So we're pretty much done there. But  
14 we're still collecting data. We're still analysis  
15 trying to figure out what all of this means.

16 And part of this panel helped with that,  
17 too. This is a chart that shows tried to a way to  
18 measure progress. This is the 3.4 billion in  
19 federal funding plus the cost-share which was  
20 more, which was over that. Our number is actually  
21 about \$8 billion. The blue bars represent what's  
22 been reported as -- this go back to September 30th

1 so this is a little bit old.

2           And the red chart shows our estimated,  
3 what we'll spend at completion. From a build, we  
4 call build metrics. Our original goal was 15.5  
5 million smart meters. We exceeded that number.  
6 We're at 16.3 now. On the customer systems side  
7 you can see there, those include programmable  
8 thermostats, in home displays. On the  
9 distribution and automation side, we estimate  
10 about 8,900. We're at 8,939 switches. We've  
11 exceeded the goal there.

12           And on the transmission side, a number  
13 we're using there is the number of PMUs. When we  
14 started there was 150 or so PMUs networked across  
15 the U.S. We expected to deploy about 800. We're  
16 now at 1,360. We've actually deployed  
17 substantially more than the original estimates.

18           I won't go into this. I'm going to save  
19 the time for the panel but we've produced some  
20 reports. Joe Palladino talked at the last meeting  
21 with the EAC about three months ago and provided  
22 you these results.



1           We have met all the goals here that we  
2           hoped to meet from a performance perspective and  
3           all this information is up on smartgrid.gov. So I  
4           want to start our panel and that will help frame  
5           the situation and we'll start with David. We'll  
6           start with David Wade first.

7           David helped lead the EPB, build the  
8           electric smart grid distribution system at the  
9           electric power board in Chattanooga and has 27  
10          years of experience. And, David, I'll let you go  
11          next. Let me get my things out of the way here.

12          MR. WADE: Well, thank you. And it's a  
13          privilege to be here and we feel very privileged  
14          to have the opportunity to participate with and  
15          work with the DOE and work through the investment  
16          grant. I think it has been a tremendous benefit  
17          to our community and will continue to be a benefit  
18          to our community for many years in the future.

19          We're a municipal utility. We serve  
20          about a 600-square mile area around Chattanooga.  
21          We have around 175,000 homes and businesses that  
22          we serve. And just to give you a sense of

1 context, we're about a 1,300 megawatt system at  
2 our peak demand.

3           So a little bit of context of what our  
4 size and shape is, Chattanooga has pretty much  
5 went through a community revitalization over the  
6 last 20 years and turned into from what was a  
7 dying community to something that's thriving and  
8 growing today. That we're glad to be part of that  
9 as well.

10           When we started, when the investment  
11 grants first came about, we were, yeah, sometimes  
12 you think it's good to be in the right place at  
13 the right time and timing's everything. We felt  
14 like that was one of the things that was very well  
15 for us. We had put together a business plan and a  
16 long-range look at where we wanted to be in the  
17 future with modernizing our grid and had went out  
18 and funded an initial phase of that.

19           And almost as soon as we issued our  
20 bonds, it wasn't just a month or so later before  
21 the opportunity to apply for a grant came out. So  
22 timing really was great for us and we were able to

1 really expand and run through multiple phases of  
2 our long-term project pretty quick and show some  
3 really big benefits to our community.

4           When we started looking, one of the  
5 things that we saw everywhere we looked at making  
6 an electric system that was intelligent,  
7 interactive and self-healing, communication became  
8 one of the basis that we was a missing link. So  
9 one of the things we did is install a fiber optic  
10 network throughout our entire service territory.

11           We did that because we felt like that  
12 was a way to future-proof our communication needs.  
13 We knew that communication was going to continue  
14 to be more critical to our electric system and we  
15 wanted the ability to easily layer on devices and  
16 get information back.

17           We also -- automating our network had  
18 significant impact. We have a system design that,  
19 a legacy network as we talk about transitioning  
20 from legacy to today's network that's not a legacy  
21 that most people would have wanted, 10, 15, 20  
22 years ago. As a legacy that kind of inherited was

1 a legacy of having a 1,300 megawatt system with  
2 115 substations.

3 So we had a lot of postage-stamp  
4 substations, a lot of 10 MPA substations, but it  
5 caused us to build some pretty decent ties between  
6 them because they were redundant from each other.  
7 Which when you layer on distributed automation,  
8 turns into really a network that, what was a  
9 strategic disadvantage all of a sudden becomes a  
10 strategic advantage.

11 Now, we have about 1,200, a little over  
12 1,200, of the S&Cs intellirupters on our  
13 distribution network. If you remember what I told  
14 you about our size, we're around a 1,300 megawatt  
15 peak demand. So we're about a megawatt of load  
16 between each of our switches.

17 We've also automated our subtransmission  
18 network. We have a 46 KV subtransmission network.  
19 We've also automated that. When we started down  
20 this, our projection was that we would see a 40  
21 percent improvement in reliability. Every metric  
22 we look at, we've exceeded those targets. You

1 know, they really vary based on which metric and  
2 which time period you look at but typically I see  
3 48 percent up to well above 60 percent depending  
4 on what metrics I look at.

5 A couple of quick numbers I'll give you  
6 as an example. SAFI for us was right at  
7 one-and-a-half, just under one-and-a-half before  
8 we started, the year before we started this  
9 project. This year we'll end the year I think at  
10 pretty significantly under a point seven. So and  
11 SATI was 112 minutes. We'll end the year this  
12 year, and our fiscal year is from July 1st to June  
13 30th. This year we'll probably end it below 45.

14 So we have seen some significant changes  
15 there in reliability. Our customers notice it and  
16 I think it sets us up as not only just for a  
17 short-term gain of reliability, it is by having  
18 the densely populated automation and having the  
19 ability to communicate with these switches, you  
20 know, and what was a legacy system that was a  
21 disadvantage, all of a sudden now we start talking  
22 about distributed energy sources. When you have a

1 distributed delivery system applying those,  
2 becomes pretty doggone easy.

3           So we see that as an advantage as we  
4 move forward as well. We've installed metering  
5 throughout our system. The biggest surprises  
6 there was that now we know what kind of service  
7 we're providing our customers. There was some --  
8 I think we realized when we went into it we would  
9 know, would find every mistake we made and we're  
10 still finding those.

11           You know, we found where we had taps set  
12 on the wrong settings. The biggest surprise was  
13 the number of alarms that we were getting on the  
14 high voltage side, the swell side and dealing with  
15 those. We've changed operating procedures around  
16 how we use automatically switched capacitors and  
17 our strategy around how we put capacitors in our  
18 system since we had this data.

19           So we're still learning. We've updated  
20 all of our (inaudible) systems, our OMS, put in a  
21 DMS to integrate with these products. And let's  
22 see. I don't have a mouse here. I don't think,

1 is there a mouse?

2 Okay. Well, I don't think I can show  
3 you this but I will tell you what one of the  
4 things that I think is pretty important for us to  
5 think about from time to time, maybe it is  
6 playing. Let me back that up then. Okay, if it's  
7 going to play and I'll show it to you before I go  
8 -- we started thinking about how do we communicate  
9 with our customers, you know?

10 And because that becomes one of the  
11 missing links for us as an electric utility is we  
12 probably don't do as well as a lot of industries  
13 in communicating with our customers. What I want  
14 to show you here is just an example of one of the  
15 ways we've started learning now to communicate  
16 with our customers and it's basically a take-off  
17 of the weather radar.

18 When you -- the yellow that you see  
19 there represents, there's a geograph -- geospatial  
20 yellow dot for every meter that we have on our  
21 system that is energized and working. This was a  
22 storm from right after we installed our

1 automation. And the red, this turns red when a  
2 customer has an outage even if it's only a few  
3 seconds. When that outage is restored, if it's  
4 restored through our automation, it turns purple.

5           So you can see as the storm was blowing  
6 through the stuff was turning purple and as our  
7 crews get out and do physical work to restore  
8 service it turns green. So we're looking at how  
9 do we communicate with our customers in a new way,  
10 in a different way and we think that's part of  
11 what an electric system of the future really is,  
12 too, improving communication with our customers.

13           It's interesting. This also gives us a  
14 way to communicate with our internal resources.  
15 You know it's much easier to have that last bit of  
16 energy to finish something when you can look back  
17 and see how far you've come. And a picture  
18 sometimes is easier to see than words. So that's  
19 just one of the ways we've started learning there.

20           I think as we move forward, we're still  
21 learning every day. We're getting lots of  
22 information in and data and we're starting to work



1 with folks like Oak Ridge and EPRI and the DOE  
2 just to see how can we take and leverage that  
3 information even further.

4 One of the probably unique opportunities  
5 that we have that I'll just mention a couple of  
6 them, one is that through this process over the  
7 last couple of years, we've captured over 10,000  
8 wave forms on our distribution network. And some  
9 of those wave forms are where an event started  
10 timing, these intellirupters capture wave forms  
11 and when event starts timing, it captures a wave  
12 form even if it never operates.

13 Then we have some that operated but they  
14 pulsed and reclosed into a temporary fault and  
15 nobody saw a sustained outage. Then we have  
16 sustained outages. So we're starting to look at,  
17 and that's a pretty large library of wave forms  
18 for us to start to evaluate what's it telling us  
19 and how should we operate our system differently  
20 or how do we know of incipient, pending stuff  
21 because of these type of information?

22 Next, we see layering on some more

1 distributed energy sources. We are starting a  
2 project to put in some community solar. We want  
3 that to be interactive with the grid and not a  
4 stand-alone supplemental system, too. So we think  
5 that it's been a great opportunity to work with  
6 the DOE on this and it's been really beneficial to  
7 our community.

8 CHAIRMAN COWART: Thanks, David. So  
9 we'll go through our presentations and then, we'll  
10 have questions afterwards. Next speaker, Vickie  
11 VanZandt currently consults with North American  
12 clients on electric transmission matters and is  
13 director of ISO New England, Inc. There you go,  
14 Vickie.

15 MS. VANZANDT: Good morning. I'm from  
16 the west and spent oh, I don't know,  
17 three-and-a-half decades or so at Bonneville Power  
18 Administration in their transmission business. So  
19 I was the program manager for one of the largest,  
20 well, actually, the largest electric smart grid  
21 investment grant. It was \$108 million and it  
22 covered the entire interconnection.

1           So I'll be describing that. First, I  
2           don't have to describe this to you. You know it  
3           really well that from an operator's perspective it  
4           used to be a little easier than it is now.  
5           Central plant, stable, predictable, long-term  
6           commercial arrangements that changed only  
7           seasonally in the west, generation with lots of  
8           mass and therefore lots of inertia and I think the  
9           impact of low mass things is just now coming due.  
10          And voltage dependent load, we had a lot of  
11          industrial processes in the west, particularly in  
12          the northwest and if the voltage started to dip,  
13          the load went down and gave you a break.

14                 So pretty good conditions for system  
15          operators. Today smaller distributed generation  
16          and demand-side measures for which the grid was  
17          not designed, lots more transactions that change  
18          in five-minute increments and the generation fleet  
19          characteristics have changed. A lot of  
20          intermittent low mass machines and a less inertial  
21          response to a rest, a frequency decline should you  
22          have a disturbance.

1                   And finally, the load has changed, too.  
2           Less industrial load more computer,  
3           air-conditioning, service. When I was graduating  
4           from college in the '70s in the northwest nobody  
5           needed an air-conditioner. Now, everybody has it  
6           and that's very VAR hungry load. So it's a  
7           tougher environment.

8                   So that means that the grid is more  
9           complex and harder to operate and demands better  
10          modeling and better visibility. That's, all else  
11          being equal, we need an increase in that in order  
12          for the operators and the grid managers to cope.  
13          So no matter how carefully the operators operate,  
14          if the models aren't right, simulations are used  
15          to set transfer limits on transmission and if the  
16          models are not right, then the limits are not  
17          right.

18                   They might be more conservative and that  
19          means monies left on the table or they might be  
20          overly optimistic which means reliability is at  
21          stake. And if they can't see what's happening  
22          then they can't fix it.

1                   So here's an example of poor modeling.  
2                   This is an oscillography trace of the power on the  
3                   AC intertie at the California-Oregon border. And  
4                   the disturbance was a separation between BC and  
5                   Alberta. It was carrying 300 megawatts at the  
6                   time, hardly anything, clear at the end of the  
7                   north end of the system. That's what we thought  
8                   would happen pretty well damped oscillation and  
9                   this is what actually happened.

10                   It was a summer oscillation and I just  
11                   happened to be on the dispatch floor on that day  
12                   and you should have seen -- you could whites all  
13                   the way around the irises of the dispatchers. So  
14                   that's what actually happened.

15                   So the model was not right. And if  
16                   power system phenomena can't be seen, operators  
17                   aren't aware of the vulnerabilities. We have a  
18                   couple of system-wide oscillatory modes in the  
19                   west, .25 Hertz and one that's .4. North-South mode  
20                   is .25 and if there's a lot of energy in that  
21                   oscillation then there's a reliability concern.  
22                   And up to the end of the smart grid grant, there

1 was no visibility of that anywhere except for just  
2 a couple of spotty places.

3 Some not on the operating floor, in the  
4 engineer's evaluation room, southern Cal could see  
5 it, Bonneville could see it but it wasn't  
6 widespread. So SCADA can't really help. The red  
7 trace is what SCADA saw on this.

8 If you have PMUs then you can see  
9 clearly that you've got an oscillatory behavior  
10 and a growing concern. If they can't see it, they  
11 can't fix it.

12 So the smart grid grant that was called  
13 WISP, Western Interconnection Syncrophasor Program  
14 was widespread in the installation and deployment  
15 of a lot of PMUs. So we just happen to have some  
16 of those. It's necessary for the visualization  
17 and for automated controls which we intend to  
18 deploy.

19 So that's the PMU deployment. Pretty  
20 big deal. In the WISP grant, over 300 were  
21 deployed as a part of the grant and as part of  
22 that program, we determined a PMU placement

1 criteria to say this is where we would like to  
2 have them. For instance, any load center that was  
3 more than 750 megawatts, any plant that was bigger  
4 than X, I don't remember what that was, any major  
5 path and so on.

6 And we applied that over the whole  
7 interconnection. We had nine partners in the  
8 smart grid grant; one federal entity, some private  
9 entities, investor- owned utilities and some  
10 publicly-owned utilities as well. And then, after  
11 we applied that criteria on the west, we didn't  
12 have PMUs from -- all the PMUs we needed were not  
13 among the nine. So we invited 10 additional  
14 participants and 9 of them, actually, there were  
15 11 and 10 accepted.

16 And they spent their own money to put in  
17 the PMUs and the communications. And for the  
18 benefit of seeing the wide area view which was  
19 part of this grant that was going to be available  
20 to everybody.

21 One kind of unexpected benefit, you know  
22 how data sharing is kind of difficult? We needed

1 to be able to share data. So parties were pretty  
2 concerned about particularly generation outage  
3 data, getting out to market participants. And so,  
4 what we did was develop a reliability portal and  
5 in order to get access to that you had to be a TO,  
6 a TOP, a balancing authority or a reliability  
7 coordinator.

8           And access to that was restricted. We  
9 posted all the information on that portal and  
10 parties, if they executed a universal data sharing  
11 agreement, then you provide data and anybody who  
12 received it had to be one of those parties and  
13 they agreed to protect it from those who  
14 participate in the market. So that was an  
15 18-month endeavor to get everyone to participate  
16 in that universal data sharing agreement.

17           And we got them all, everybody.  
18 Generators, the green spots are those who share  
19 data with each other and the blue spots are those  
20 who are willing to provide their data but don't  
21 need data from others. So smaller utilities who  
22 don't operate necessarily. So that was a big win.



1 And it's been useful for a variety of other data  
2 exchanges, too. This didn't just involve PMUs but  
3 any operating reliability data. Okay. And the  
4 data sharing. If you look at the western  
5 interconnection, the thick red lines are between  
6 RCs. The data exchanges between the reliability  
7 coordinators. So, there's one in Alberta and WEC  
8 -- or the breakoff of WEC. Peak Reliability is  
9 located in Vancouver, Washington, and in Loveland,  
10 Colorado. So, that's what the red lines are.

11 The other red lines are between  
12 participants -- or dataflow to the RCs. But if  
13 you can see, it's kind of faint but the green  
14 lines represent data exchange -- PMU data exchange  
15 among the participants, so between utilities, and  
16 that's really a great feature. I think that's the  
17 only place that is occurring.

18 And the modeling. So, PMU benefits --  
19 modeling is one of the great big ones. Of the  
20 three components, transmission, that's pretty  
21 good. Generation modeling is poorer, but it is  
22 improving. And loads needs the most work.

1                   Do you remember the trace I showed you  
2                   with the model? Let me go back to that. There it  
3                   is. The difference between assimilation and the  
4                   actual event ended up to be incorrect load  
5                   modeling. More resistive load was modeled, and  
6                   less inductive load was modeled. So, we increased  
7                   the inductive load modeling by 20 percent and was  
8                   able to match that. So, the PMUs are going to  
9                   play a big role in helping us improve the models.

10                   This is a generator model validation.  
11                   It was the first one that we undertook as part of  
12                   the Smart Grid Grant. The upper -- before  
13                   calibration on the left side, the input -- or the  
14                   disturbance -- is the same, and the simulated  
15                   response, or what we thought would happen below  
16                   that on the left was the red trace. And what  
17                   actually happened was the blue trace, so  
18                   something's wrong with that generator model. We  
19                   took four disturbances, calibrated the generator  
20                   model, and used 10 additional disturbances,  
21                   subsequent ones, to validate that the calibration  
22                   we'd done was correct.

1           So, after calibration, the same input --  
2           look at the actual response, and the blue and the  
3           red match quite a bit better. Now, that's been  
4           extended to many generators in the West, and that  
5           means our simulations are going to be much better,  
6           and our limits are going to be much more accurate.

7           So, why WISP was unique. It was the  
8           biggest one of the electric transmission category.  
9           Public and private folks deployed -- this is a  
10          killer benefit, this next thing, the dedicated,  
11          secure, high-speed wide area network for  
12          synchrophasors -- we deployed, as part of the  
13          grant, a dedicated network that is managed by  
14          Harris Corporation, and our NOC center is in  
15          Melbourne. They look after it. They have a  
16          dedicated cyber security team that watches it  
17          every minute of every day, and it's fabulous. It  
18          is high speed. It is low jitter. The latency  
19          exceeded our spec requirements. So did the  
20          jitter. So, that's one long- lasting benefit of  
21          the Smart Grid Investment Grant. And it's  
22          carrying PMU traffic now. I believe it will carry

1 additional traffic like, maybe, ICCP in the  
2 future.

3           Okay, visualization of power system  
4 oscillations. As I mentioned earlier, that's a  
5 particular vulnerability in the West along with  
6 decision support for mitigation. And we're going  
7 to deploy two -- the infrastructures in, it's  
8 being monitored now -- but two response-based  
9 controls where the input to the automated control  
10 action is PMU input. They're both being deployed  
11 Bonneville, and one is related to wind, and the  
12 other one is connected with operation on the  
13 California-Oregon Intertie.

14           Okay, so what's next? Qualifying the  
15 data. Lots of data issues. One PMU is convinced  
16 it's 2037, and we can't get it to think otherwise.  
17 So, calibration -- you know, some of this is  
18 related to perhaps capacitive CCVTs. They are  
19 less accurate than wire-wound instrument  
20 transformers, so you need to make sure those are  
21 tuned up well so bad data detection -- you want to  
22 make sure you don't lose packets in the

1 transmission and that things arrive on time. The  
2 synchronization of these time measurements is a  
3 critical and important benefit also.

4 I worked on the 2003 blackout  
5 investigation, and it took us -- I don't know,  
6 David -- four months, I think, to get time  
7 alignment of the various data packets from the  
8 impacted utilities, and now that happens in an  
9 instant. So, this is great.

10 Interconnection baseline correlation.  
11 So, we now have a measure of damping in the West,  
12 and the power system in the West is not all that  
13 well damped anymore. But what's adequate? Eight  
14 percent? Probably. Five percent? Probably.  
15 Less than five? Not sure. Down to two? Probably  
16 a problem. So, we want to get some baseline  
17 correlation of angles and oscillation energy and  
18 calibrating and validating the models.

19 And then, finally, dynamic simulation or  
20 simultaneous limits. You can transmit on the coy  
21 up to 4800 megawatts but not if the DC intertie is  
22 running at 31. So, that is one feature that we

1 intend to work further on and to determine  
2 corrective actions for stress power system stakes.

3 Coping with the loss of inertia. It's  
4 just not the same frequency arrest that we used to  
5 have with higher mass machines. Low-damping,  
6 high-angle separation. That was a factor in 2003  
7 -- high-angle separation. And some actions will  
8 be automatic.

9 So, I would like to underscore some  
10 things that Jeff said about the coordination  
11 framework. I'm a student of John Doyle's also.  
12 Power systems are fabulous engineering marvels.  
13 And they're very robust for maybe one or two  
14 contingencies, but when you get deeper -- three,  
15 four, five -- they are quite fragile. And the  
16 disturbances -- big disturbances, like 2003 and in  
17 the west 1996 -- those big disturbances happen  
18 more frequently than a normal distribution would  
19 indicate. So, power systems have heavy tail-type  
20 power law distributions, and the changes that  
21 we're seeing in the electric grid on both the  
22 generation and the load in the distribution

1 segments -- all else being equal, that fat tail is  
2 going to be flatter yet unless we deploy some  
3 controls, some mechanisms, some better modeling,  
4 some better visibility just to stay even.

5 Okay, that's it for me.

6 MR. KENCHINGTON: Thanks Vickie. Cool  
7 stuff. Very cool stuff.

8 And I said we were going to hold  
9 questions till the end, but I made the rule so I'm  
10 going to break the rule.

11 (Laughter) You talked about you've  
12 come up with a way to

13 Determine how many PMUs you would need  
14 and where to put them? Is that particular to the  
15 western connection, or is that applicable, would  
16 you say, to other regions?

17 MS. VANZANDT: I think you could deploy  
18 it elsewhere.

19 MR. KENCHINGTON: Okay.

20 MS. VANZANDT: I'd be happy to share it  
21 with you. NERC helped us with that.

22 MR. KENCHINGTON: Okay.

1 MS. VANZANDT: And the Smart Grid  
2 Investment Grant participants worked on it  
3 together.

4 MR. KENCHINGTON: Okay.

5 MS. VANZANDT: And it's based on  
6 engineering rather than PMU for any substation 100  
7 kb and above.

8 MR. KENCHINGTON: So, there are  
9 analytics behind it.

10 MS. VANZANDT: Yes.

11 MR. KENCHINGTON: Very good, thank you.  
12 Okay, our next speaker, Karen Lefkowitz with  
13 PEPCO. Karen is the Vice President, Business  
14 Transformation, and the Chief Information Security  
15 Officer.

16 MS. LEFKOWITZ: Good morning, everybody.  
17 First of all, I'm stealing from David that  
18 animation on how to represent analogies and  
19 restoration to customers is brilliant, and I'm  
20 going to absolutely steal it, and I'm going to ask  
21 Vickie for the slides on the oscillation  
22 disturbances and share that back. This is really



1 interesting stuff. And let me start by saying  
2 that I'm going to sort of focus on the  
3 distribution side and what we've done.

4           This is a slide I use when I speak to  
5 community groups a lot, because one of the things  
6 I know is that people really don't understand what  
7 a smart grid is, and they typically think smart  
8 grid just means smart meters. So, one of the  
9 things I try to explain to people is that the  
10 smart grid means that we're acting on all aspects  
11 of the electric system starting with  
12 synchrophasors on the transmission side; digital  
13 substations; advanced technology inside the  
14 substation walls; automation out on the poles and  
15 wires for feeder distribution automation; and then  
16 of course focusing in on the home both smart  
17 meters and smart thermostats. We're right now  
18 piloting with DOE money a smart inverter project,  
19 as well as looking at using EV chargers as demand  
20 response tools.

21           And along this entire pantheon of  
22 things, we had a lot of help from the Department

1 of Energy through our ARRA grants, and of course  
2 now that I'm the CSO as well, I have to say that  
3 we have built security in along the entire chain  
4 of the telecommunications piece.

5 And the other thing that I say to people  
6 when I'm speaking in public is the very same thing  
7 that enables all of us to have incredible  
8 computing power in our pocket with our smart phone  
9 is the same thing that enabled most of this  
10 technology to work, and that is cheap ubiquitous  
11 -- inexpensive ubiquitous telecommunications.

12 So, we're done deploying. And I guess I  
13 should mention -- I did include a slide. For  
14 those of you who are local, you know that PEPCO is  
15 the local provider in D.C. and the suburban  
16 Maryland areas. But we also are the company that  
17 operates in Delaware and South Jersey -- so,  
18 everything from casinos, farms, lots of  
19 agricultural area, suburban to a very dense urban  
20 electric system. And we had a design and a set of  
21 programs that we wanted to roll out in all of our  
22 territories identically. The only exception is in

1 New Jersey we did not get approval from our local  
2 regulators to deploy AMI, but we do have  
3 distribution automation there.

4           So, one of the things that -- I was very  
5 confident about four years ago when I joined this  
6 project that this was all going to work. But it  
7 turned out that not everybody was so confident,  
8 and so we can now say with 1.4 million meters  
9 installed, the technology is actually working the  
10 way we expected it to work.

11           One of the things that we did, because  
12 you may not know, I have very, very tough  
13 regulatory environments that I operate in on the  
14 distribution level. And so our strategy was to go  
15 in and define a small set of actions and benefits  
16 that we were going to deliver and hit it out of  
17 the field with those benefits. And then when we  
18 had those in the bank, we would start deploying  
19 and leveraging further the investment that the  
20 Department of Energy helped us make in the grid.  
21 So, the set of things that we told our regulators  
22 we were going to do is over (inaudible); outage

1 detection and outage restoration notification;  
2 automatic sectionalizing and reclosure, so the  
3 distribution automation function; remote  
4 connect/disconnect. We were going to push all  
5 that data out to the customers, and we were going  
6 to come up with innovative new price programs that  
7 of course they had to approve and we did in the  
8 form of critical peak rebates. And so that's what  
9 we said we were going to do, and we made sure we  
10 did them in all of our jurisdictions except for  
11 New Jersey without the AMI data.

12           So, everything is working, and  
13 everything is working really, really well. And  
14 that's not to say there aren't problems. One of  
15 the things utilities have to learn is how to  
16 manage a telecommunications network that's  
17 touching every end point that now includes every  
18 premise. So, the communications system always  
19 needs some tweaking. We need to add relays. We  
20 need to move them and things like that. I don't  
21 think that we anticipated as much change in that  
22 once it was installed that we're experiencing.

1 But I always try to tell people it's a good thing.  
2 It means new buildings are going up, right? That  
3 means more revenue coming in one way or another.  
4 So, there's an upside to that.

5 One of the things that -- before I talk  
6 about the next steps, one of the things that we're  
7 in the process of doing is preparing for recovery  
8 in the state of Maryland. So, the state of  
9 Maryland actually asked us to do something  
10 different than what we ordinarily do in the  
11 regulated space and distribution, which is  
12 normally we go in, we say we want to do this big  
13 project and they say: That looks good, you get  
14 approval, then when you're finished come back and  
15 we're going to evaluate your cost based on  
16 prudence. Right? Did you spend your money  
17 prudently? We're only going to allow you to  
18 recover prudent spend.

19 In Maryland, they changed the game, and  
20 they said: You have approval to go ahead, but we  
21 want you to come in and prove, with actual  
22 numbers, that this was a cost-effective program.

1 And that is a very big change. And one of the  
2 interesting things that we're -- the exercise that  
3 we've had to go through is find ways to quantify  
4 data savings direct to customers. So, we all are  
5 comfortable with talking about operational  
6 efficiencies, voided O&M, and changing the way we  
7 do our capital spend, but we're not necessarily as  
8 good about thinking: What have I done that has  
9 saved the customer money? And some of those  
10 benefits are not benefits that we manage. And the  
11 best example is conservation voltage reduction,  
12 right?

13 We are using AMI data. This is a huge  
14 win. We have now got conservation voltage  
15 reduction running on at least 40 percent of the  
16 residential feeders in our PEPCO Maryland  
17 territory. And customers are -- the voltages  
18 reduced approximately 2 percent. Customers will  
19 estimate that savings to about 1.5 percent on  
20 their bill. Customers don't know it's happening.  
21 Not a single person has called to complain. We  
22 think that's a huge win. Customers don't know

1       it's happening. They don't know that we've  
2       enabled them to save money, and that's not a huge  
3       win. And now what I have to do is to say in a  
4       regulatory model -- in recovery, I have to say  
5       customers save 1.5 percent; aggregate that over  
6       all the customers affected by that change to their  
7       feeder, and look at that over a 10-year period.  
8       That is a very, very big number, and nobody  
9       noticed. Right?

10                So, it's sort of a hard sell. It's a  
11       classic double-edged sword. We think it's really  
12       a smart thing to do. We've used the AMI data to  
13       do a very deep evaluation of the power quality  
14       across each feeder prior to turning on CVR. We  
15       have found a couple of places where there were big  
16       problems that we were able to solve that we would  
17       not have otherwise known. So, it's a big win for  
18       customers.

19                Dynamic pricing is a very interesting  
20       program. We do a critical peak rebate. Customers  
21       have really benefitted from that and,  
22       surprisingly, have been willing to embrace it,

1       although I say that with a caveat because the last  
2       two summers that we've run this program, for those  
3       who are local know, it's been very, very mild.  
4       So, we don't know how customers are going to  
5       behave when they have a really hot summer, much  
6       more typical summer, around this jurisdiction.

7                So, what's up next? I am famous for  
8       saying the technology -- even though I'm a  
9       technologist, I ran system operations; I started  
10      out in the IT world. I know technology isn't  
11      easy. But the technology part of what we've done  
12      is actually the easiest part of what we've done.  
13      The hardest part of my job is convincing people to  
14      do their job differently than they did before,  
15      getting them to think about how we solve problems  
16      that we have in the business in a different way  
17      using different datasets. And the way we're going  
18      to approach that is changing wholesale by looking  
19      at what the analytics use cases are that are  
20      available to us and pushing that out.

21               So, we sort of sat down; we pulled all  
22      the use cases we could find across the industry,



1       some we've heard other people doing, some that we  
2       saw (inaudible) pulled together something, a paper  
3       on this, some that we just sat around the table  
4       and thought up ourselves. So, we've got about 50  
5       use cases here, and we categorized them in a way  
6       that made sense for us. You could put these in  
7       different categories, and now we're taking a look  
8       at the actual individual use case. Where do we  
9       have resources available to work on things? What  
10      things are going to provide the biggest benefit?  
11      What things do we have technology that we already  
12      have that we could leverage without doing a lot of  
13      extra spend. So, we've got a roadmap that takes  
14      all this into account.

15                 But the big thing here -- and it's  
16      something that I tell my colleagues all the time  
17      -- instinctively we go for the low-hanging fruit.  
18      That's a phrase we use all the time. What's easy  
19      to deploy? What's a small change that we can get  
20      some wins under our belt? And I'm not sure in  
21      this case that's what the smart thing to do is.

22                 I think that what we want to do is

1 demonstrate, in a really showy way -- and now  
2 you've got to think what's showy to an engineer --  
3 how we can use data differently. So, one of the  
4 examples that I like to give is in the Metro area  
5 around here we expect that electric vehicles are  
6 going to take off at some point, and that's in the  
7 not-to-distant future. I should say I expect it.  
8 A lot of people argue with me about this. And  
9 they argue with me about it for all the wrong  
10 reasons. They always say it's more expensive;  
11 consumers aren't going to want to buy it; it's not  
12 cost effective -- at which point I say: Tell me  
13 what the business case is for buying a Lexus or a  
14 BMW, because I'm pretty sure they're not cost  
15 effective either. So, I think that customers are  
16 going to buy what customers want to buy. EV  
17 manufacturers are marketing heavily in this area.  
18 They're making it fun, sexy, cool, hip, whatever  
19 it is. They're appealing to people. They're  
20 spending all that money marketing, because they  
21 know marketing works, and customers are going to  
22 eventually start. Once that ball starts rolling,

1 we all know you reach an inflection point and it  
2 goes really fast. Utilities don't move fast.

3 So, this is one of those areas where I  
4 suspect we're going to need to stay ahead of the  
5 curve. How are we going to stay ahead of the  
6 curve? We're going to look at a different set of  
7 data than we're accustomed to looking at. We're  
8 going to have to pull in consumer propensity data  
9 so we have economic data that's out there that  
10 everybody else in the universe uses but not  
11 regulated utilities that tell marketers where to  
12 market and where they're likely to have success.  
13 So, look at Zip Codes; look at income; look at all  
14 kinds of stuff that I don't know anything about.  
15 Now, take that data, overlay that on the electric  
16 system. Find out what transformers are at risk  
17 for multi EV purchases in it. Target them and  
18 figure out how. If you're doing a feeder upgrade  
19 or if you're doing improvements, maybe you just  
20 bite the bullet and put in a slightly bigger  
21 transformer. Maybe you do what we've done in  
22 Maryland, which is come up with an EV tariff that

1 encourages customers to shift that load to a  
2 different point in time.

3 But what we're talking about doing is  
4 pulling customer behavior data, overlaying it with  
5 electric system design and electric system  
6 planning, and thinking about it differently. So,  
7 people in the customer space or customers looking  
8 at customer data, people on the electric system  
9 side are accustomed to looking at all of the  
10 things that we're comforted by in the grid.  
11 Rarely do the two interact.

12 So, that's the big thing that I think is  
13 going to happen. I'm encouraging us to look at  
14 those things. There are a whole bunch of use  
15 cases around: High-penetration solar, which we're  
16 starting to see in New Jersey of all places, and  
17 certainly we would expect to be seeing it in other  
18 parts of our territory relatively soon; EVs; and  
19 then, of course, this laundry list of other things  
20 that we're doing.

21 So, I think this is absolutely the most  
22 exciting time to be in the industry for me. I've

1 worked in everything from IT to system operations  
2 transmission, and now back in the customer space  
3 on the grid side doing smart grid, and I can't  
4 imagine a better way to spend my day than thinking  
5 about how to make this stuff make sense and how to  
6 make it work. And -- hopefully -- you all  
7 represent different segments of this energy  
8 industry -- and hopefully you find it as exciting  
9 as I do.

10 Thank you.

11 MR. KENCHINGTON: Very good, Karen, and  
12 thank you very much.

13 So, next speaker, Craig Miller. Craig's  
14 with the National Rural Electric Cooperative  
15 Association. Thank you for hosting us today.

16 MR. MILLER: I like to commute. You  
17 know, five floors of elevator was great. Need  
18 more meetings like this.

19 The first thing I want to mention is  
20 that we were supposed to finish our talks as of  
21 five minutes ago. In order to preserve time for  
22 questions, I'm trying to be as succinct as

1 possible.

2                   Second thing, I want to note that I  
3 absolutely hate being on a panel with David or any  
4 other dudes from Chattanooga, because they're  
5 damned showoffs. (Laughter) That is an amazing  
6 bit of work, okay?

7                   Now, third point, I'll stipulate that I  
8 have gorgeous slides that are incredibly  
9 elucidating. I turned them in last week, late but  
10 before the presentation, and then on Monday we got  
11 the questions we were supposed to answer. And I  
12 sat down on the weekend and I said, damn, these  
13 don't match, okay? So, in deference to your  
14 purposes, superior to what I wanted to say, I'm  
15 going to answer your questions first. And if  
16 there's a little time left over, I'll talk about  
17 the cool stuff that I like.

18                   Now, we were supposed to say: What do  
19 we do? What did learn from it? What could we  
20 have not done without DOE? And then: What are we  
21 doing next?

22                   So, what do we do? NRECA is not an

1 electric utility. We don't own any assets, okay?  
2 But we are the trade association of more than 900  
3 cooperative utilities. We cover about 75 percent  
4 of the land area of the United States that have 50  
5 percent of all the distribution line, control  
6 55,000 megawatts of generation, and have 16  
7 million meters. So, collectively, we're really  
8 big, even though individually we're pretty small  
9 most of the time.

10 So, what we did when we got this grant  
11 from DOE -- when we saw the proposal, the funding  
12 opportunity -- is we went out to the 900 and said:  
13 What cool things do you want to do? And about 65  
14 utilities came back to us with ideas. And we had  
15 a big meeting, actually in this room, and we  
16 hashed ideas out and put it together and we came  
17 up with a project that was distributed across 23  
18 utilities in 10 states and did 89 individual  
19 subprojects. So, we've looked at a lot of  
20 different things. We looked at smart meters, of  
21 course, but we also looked at advanced meter data  
22 management systems, meter data management systems

1 where a generation in transmission entity looked  
2 at the meter data management of the distribution  
3 companies in order to coordinate over a wider  
4 area. We did an awful lot of smart feeder  
5 automation, okay -- because we have half of the  
6 distribution lines in the United States. So,  
7 feeder automation, distribution automation, is  
8 really important to us.

9           So, we did a lot of smart feeder  
10 switches. We looked at very advanced techniques  
11 for SCADA. We tested conservation voltage  
12 reduction on long rural runs where it's not  
13 traditionally used but we proved it worked.  
14 Ultimately, we completely all 89 of them, and I've  
15 got to brag here for a sec. We finished two weeks  
16 early, 1/16th of a percent under budget, okay?  
17 (Laughter) I was told by God: Don't go 1/16th  
18 over. And so we finished, and what we did is we  
19 produced a really unconventional final report. In  
20 particular, we produced 11 different ones. What  
21 we did is we studied different aspects of the  
22 project and we put out little single-purpose



1 manuals -- just generally 30, 40, 50 pages -- to  
2 explain to people how to do what we did. How do  
3 you build a multi-tenant MDM? How do you  
4 determine if CVR works? What is the real ROI on  
5 smart feeder switching, and where do you install  
6 it? Because, like I said, we're not a utility.

7           Finishing the work is not the end of the  
8 project to us. Our mission is to motivate our  
9 entire community and to help our colleagues in  
10 other aspects, in other areas of the utility  
11 community to continue to improve. So, this  
12 project, for us, was the beginning, the beginning  
13 of a fundamental transformation in the way we  
14 approach the modernization of the grid, okay? And  
15 it's continuing.

16           Now, there were two other aspects in the  
17 FOA -- I'm a hyperliteral person, so I think I  
18 committed it to memory -- and one of them is it  
19 said we had to deploy everything securely. And  
20 after we sort of got up off the floor rolling,  
21 laughing, you know, at the request for the  
22 impossible -- excuse me, Hank -- we sat down and

1       said:  What are we going to do about this?  We  
2       decided that we couldn't guarantee that everything  
3       was going to be deployed securely.  I went out and  
4       I hired a company to look at the inherent security  
5       of the smart grid technology, and they came back  
6       -- and I'm going to give it to you word for word:  
7       "We cannot positively attest to the security of  
8       any component currently deployed in the U.S.  
9       electrical grid."  It could not look at the  
10      software there and guarantee that it couldn't be  
11      broken.

12                 So, we've just determined that the parts  
13      don't work, that they're vulnerable.  So, how do  
14      we improve security?  We said:  Let's not set a  
15      high goal, let's set a realistic goal.  Let's  
16      create a paradigm where we do continuous  
17      improvement to make ourselves more secure in 30  
18      days, more secure in 30 months.  Just step by step  
19      by step.  And we wrote, using ARRA money, guides  
20      on how to do this.  We put together a very  
21      extensive, very detailed guide with 600 references  
22      on how to do it, and we sent it out and everybody

1       said: Wow, this is wonderful. And I'm talking to  
2       some of the co-ops who reviewed it, and I'm just  
3       feeling fabulous because they're saying wonderful  
4       things. And then he says: And if you ever get a  
5       version in English, be sure to send it to us.

6       (Laughter)

7                 So, we went back and we started  
8       simplifying it -- you know, making it shorter and  
9       shorter -- and then we built a template for an  
10      organization to help build a cybersecurity plan  
11      that they can continually improve. And then we  
12      built procurement language, and we put together a  
13      whole suite here, and this is a number that's kind  
14      of cool. It was downloaded -- the collection of  
15      everything that we wrote with ARRA money -- it was  
16      downloaded 34,000 times. That's a best seller. I  
17      don't think you can find a single cyber security  
18      reference, including NIST's, that's been  
19      downloaded as much. The ARRA Grant created an  
20      understanding of cybersecurity that's propagating.  
21      It altered the dialog. It gave people the  
22      confidence to start.

1                   One of the important things whenever you  
2 talk about a new technology is to have a start  
3 button, a big red button. The first thing you do.  
4 So, what's the first question we ask? Who's the  
5 boss? Who's in charge of cybersecurity? That's  
6 an easy question. Everybody can answer that,  
7 okay? So, they get their momentum up. 34,000  
8 downloads. Second iteration out there.

9                   The other thing the FOA said was that we  
10 had to improve interoperability, and we took that  
11 very seriously. So, Ann Arcia, of course, is the  
12 author-manager-owner of the MultiSpeak Standard,  
13 which is the most widely used interoperability. I  
14 know we all talk IEC, and we talk IEEE and various  
15 other areas, and fabulous stuff, absolutely  
16 essential, but we have 900 utilities using  
17 MultiSpeak, including large ones like ESCON,  
18 Électricité de France, Southern Company,  
19 (inaudible) Company. So, anyway.

20                   What we did is we made it better. We  
21 put an entire new iteration in, wrote more than a  
22 hundred use cases, put it on a firmer footing for

1 the future. We also developed standards-based  
2 security, and this is very important. Standards  
3 and security are two sides of the same coin. If  
4 you write a strict standard that tells you what  
5 that device or that software should do and should  
6 not do, it gives you something definitive to test.  
7 You verify that it does what it's supposed to and  
8 doesn't do anything else. So, we decided to embed  
9 security into interoperability standards. We did  
10 it. It's in MultiSpeak 5. It has also been  
11 adopted by the IEC -- the same approach.

12 So, Smart Grid Grant. We said we'd  
13 deploy 250,000 components at 23 co-ops testing 89  
14 projects. We deployed 455,000. I was a little  
15 disappointed. I wanted to double what we  
16 promised. What could we have done without DOE?  
17 None of that. This encouraged our community to  
18 take steps, to try things that they wouldn't have  
19 done before. And what did they accomplish? They  
20 provided rock-solid demonstrations of what works,  
21 which we documented in our reports, and now those  
22 same sorts of activities are continuing across our

1 entire community.

2                   What did the Smart Grid Demonstration  
3 Grant accomplish? And I'll do this real quick  
4 here. The question we asked in the beginning --  
5 I'm sorry, what do I press here? -- do we need a  
6 new grid? Okay, I'm going to do this in two  
7 slides. Question No. 1: Do we need a new grid?  
8 We asked ourselves that? In 2000, the National  
9 Academy of Engineering decided that the grid of  
10 the United States was the greatest engineering  
11 achievement of the 20th century. It is  
12 spectacularly reliable. Yes, I know there are  
13 other countries that are more reliable, but it's a  
14 pretty darn good system, given the extent of what  
15 it has. Secretary Muniz a year ago February  
16 defined the grid as a continent spanning machine  
17 of immense complexity that is at its best when  
18 it's invisible. Isn't that a cool definition?

19                   So, I read yesterday that CERN was the  
20 biggest machine ever built. Hell no. We've got  
21 one that spans a continent, okay? And it works.  
22 Do we need a new one? The answer is: Absolutely

1 not. But that's not the way engineers work,  
2 right? By nature, every time we do something we  
3 ask: Can we do it better? Can we do it better?  
4 Is there a better way of doing it? Okay? And  
5 what the smart grid is, is a better way of doing  
6 what we have always done. And what the Smart Grid  
7 Demonstration Grant and the investment grants did  
8 was give people the courage to take the step to do  
9 it better instead of just doing it the way they  
10 always did. So, what did it do? It accomplished  
11 its very specific objective of showing the  
12 opportunity inherent in the emerging technology.  
13 It gave people confidence and moved them forward.  
14 It made massive improvements in cybersecurity,  
15 massive improvements in interoperability. I don't  
16 believe I've ever been involved in a more  
17 effective program. And this report you guys put  
18 out should celebrate this extraordinary  
19 achievement. If it doesn't, you got it wrong,  
20 okay?

21                   And then what happened -- the legacy it  
22 left for my organization is we decided where we

1 needed research, and we came up with this little  
2 flower -- I'm sorry, "cybersecurity" shouldn't be  
3 highlight except I worked there so much -- we  
4 decided these were the seven areas where smart  
5 grid research is needed:

6           •Distributed generation, obviously.  
7           •Agile control. That's smart switching  
8 technology; that's storage; that's active for our  
9 control; all the solid state power electronics  
10 going towards an actively managed grid rather than  
11 one managed by mass.

12           •Advanced communications. Every single  
13 project we have ever undertaken in smart grid  
14 deployment, starts with communications. It's a  
15 tough problem. Massive research is needed to  
16 solve that to make it accessible, particularly to  
17 our less technically staffed co-ops. They aren't  
18 dumber; they're just smaller, okay?

19           •Advanced analytics. The future grid is  
20 not an easily designed thing. We do most of our  
21 modeling, frankly, as if they were D.C. circuits  
22 even though they're A.C. We don't look, in



1 general, at the design phase at issues around  
2 harmonics and VAR right off the bat. The current  
3 analytical tools is not adequate for the level of  
4 design we need to do.

5 •Big data. Actually, we don't have big  
6 data, even compared to the people out West. What  
7 we have is very special data, data where we have  
8 concerns about latency, reliability, tolerance of  
9 error rates that we have to take advantage of. We  
10 need massive issues in data management.

11 •Cybersecurity. We are making progress  
12 on cybersecurity. The important thing to remember  
13 here -- this is a number you guys haven't heard  
14 before. It's 229. I think it's the number for  
15 2015. Just remember 229. That's the average  
16 length of time from a cybersecurity breach occurs  
17 until the door is closed. It takes that long to  
18 find out you've been hacked and to fix the problem  
19 -- seven months. So, if you want to improve  
20 cybersecurity, yes, find the bad guys, improve the  
21 software, do all kinds of things - - and they'll  
22 give you good 10 or 15 percent improvements. What

1 we need to do as an industry is shrink 229 to one  
2 day. And that's a 99.5 percent improvement in  
3 cybersecurity, okay? 229. Remember it.

4 •The last bit is architecture, and I'm  
5 seeing my new best friend over in the corner there  
6 -- hey, Jeff. We believe that the solution is  
7 ultimately an architecture, and we're going to  
8 have some phenomenal conversations, because he's a  
9 smart guy and I'm not too dumb. We believe that  
10 the foundation for future architecture is not  
11 gluing things together -- and I'm talking the  
12 architecture control system -- but getting the  
13 data right, because all applications ultimately  
14 intersected the data. A pole has a location, a  
15 conductor has a gauge; there's a current flow,  
16 there's a voltage flow. Those are absolute facts.  
17 Every application has to access the same data, so  
18 we view the future architecture as being data  
19 centered.

20 So, these are seven areas working in the  
21 future of the grid. We have a vital program going  
22 on now. It would not exist without the ARRA

1 grant, and we believe that what we're doing and  
2 what our colleagues are doing here -- including  
3 the damn showoffs like all three of you are -- are  
4 really accomplishing amazing things.

5 Thanks.

6 MR. KENCHINGTON: Thank you. Fantastic,  
7 fantastic.

8 So, now I think it's best to -- we have  
9 until 11:20, is that right, Rich?

10 CHAIRMAN COWART: Correct -- well,  
11 including discussion to 11:40.

12 MR. KENCHINGTON: Okay, so I'll open it  
13 to the audience for questions. I think you all  
14 have a protocol with (inaudible).

15 CHAIRMAN COWART: Questions, comments on  
16 what we've heard. We've heard quite a lot.

17 MS. REDER: I guess I'll start it off.  
18 David, if you could just talk a little bit about  
19 the importance of changing the conversation. You  
20 know, you had the map with the different colors  
21 and kind of the importance of turning in a 180 as  
22 you interact with the customers and where that

1 will likely take us.

2 MR. WADE: Well, I think it is what's  
3 going to drive us totally. It kind of dawned on  
4 me, a couple of things happened a few years ago  
5 that kind of resonate still with me into how this  
6 conversation exists. We did a focus group with  
7 our customers, and we were going after what type  
8 of rates would incent them to do stuff, and we  
9 really started at -- they didn't know it was us --  
10 they started asking questions about purchasing  
11 gas, and they finally got around to talking about  
12 electricity and we asked them what their average  
13 bill was and they knew it right off the top of  
14 their mind what their average bill was or knew a  
15 number. I'm not sure it was right or not. We  
16 didn't try to validate it. But then the next  
17 question was: Put your own number in. You said  
18 you pay \$120 a month. What do you get for that?  
19 The scary part was the whole room was silent, and  
20 the moderator let that silence exist for almost a  
21 minute where it was so uneasy, and then the  
22 moderator finally said: Well, do you get stuff

1       like food that doesn't spoil or a comfortable  
2       home? And they were able to catch on. It wasn't  
3       they couldn't get it. It was at top of 00:41:17  
4       mind -- they had a bill top of mind, but they had  
5       no value associated with the top of mind. The  
6       same thing happens when we think about our  
7       electric system and reliability and stuff. You  
8       know, we all know what happens when a storm comes  
9       through any area, that what's always put at the  
10      front is how many are left out. If that's 200 out  
11      of 2 million, it's still the number -- it's not  
12      that that many -- it's always a story that way.

13                   I had a call right after we started  
14      deploying our automation -- we really didn't have  
15      any of it in automation schemes yet -- from one of  
16      our vice presidents, and she called me one  
17      Saturday and said -- she was just kind of giddish:  
18      I think I saw our smart grid working. I said:  
19      What do you mean? She said: My lights went off  
20      and came back on. And I kind of said: Well, that  
21      was the old- fashioned reclose. And I laughed a  
22      little bit with her about it, but what donned on

1 us there was, you know, since we didn't tell our  
2 customers even stuff like that from the '50s,  
3 '60s. When reclosers came into existence, there  
4 was always something that prevent our customers  
5 from having a longer-term outage. They were not a  
6 bad thing, but since we chose, as the industry,  
7 not to tell folks it was good, it's a bad thing.  
8 So, I think it's important to tell customers what.  
9 So, if not, they don't know.

10 MR. MILLER: Dave, can I add something  
11 to that? Could you just -- we tested what you  
12 call a meter, and we found out that people object  
13 to smart meters -- some of them do. We didn't  
14 find anybody who objected to a better meter. So,  
15 just stop calling them smart meters and say we're  
16 putting in better meters. Nobody objects. Tell  
17 them it's good. You don't have to -- (laughter).

18 MS. LEFKOWITZ: Well, I was just going  
19 to add on that the biggest win that I had around  
20 the meter program was I had virtually no  
21 customers. In comparison to other places, we had  
22 very, very few customers who were unhappy about

1 getting a meter, and I completely believe it's  
2 because I shunned the media. I muzzled my  
3 corporate communications people. We communicated  
4 directly to customers with direct mail campaigns  
5 and door hangers. We didn't invite the media in  
6 to run stories until we were done.

7 CHAIRMAN COWART: Sonny?

8 MS. LEFKOWITZ: Yes, thanks, and a  
9 terrific panel. It seems to me that, you know,  
10 one of the clear victories here has been, from  
11 what we've learned, is the benefits for outage  
12 detection and restoration, and I've seen lots of  
13 great information from Chattanooga on that issue.  
14 And now it sounds like you've had similar results  
15 in PEPCO, and my question, then, is for Karen.

16 In terms of the benefits of, let's say,  
17 distribution automation versus -- shouldn't be  
18 really "versus," but to say as opposed to AMI,  
19 you're almost a perfect case study, because you've  
20 got both the distribution and automation at AMI  
21 in, what, Maryland and Delaware and not in New  
22 Jersey. Are you getting those benefits in New

1 Jersey in terms of outage restoration, outage  
2 detection, even without the AMI, or are there  
3 additional other benefits that you need the AMI  
4 for -- that you're finding you need the AMI for?

5 MS. LEFKOWITZ: Yes, it is an  
6 interesting comparison to look at, and I'll just  
7 say that many people in the room are local or  
8 aware of the kind of reliability problems that we  
9 had that were weather related over the previous  
10 five or six years or even going back further in  
11 this area, and the company built up a lot of  
12 competency around a very curious skill set, which  
13 is how do you integrate a thousand mutual  
14 assistance crews? How do you dispatch to all of  
15 them? How do you manage a far, far larger  
16 workforce during a restoration effort? So, we've  
17 had a lot of experience with that, and it's a  
18 logistics issue. When we got AMI, we were able to  
19 -- the biggest benefit -- and it's not intuitive  
20 until you've lived through it -- is we've  
21 automated the throughput from the meter directly  
22 into our outage management system, so now we are



1 not sending a truck to a place where we don't know  
2 there's an outage. In other words, almost a  
3 hundred percent of the time we're dispatching a  
4 truck, there is a known and certain problem as  
5 opposed to in the previous world you're sending  
6 them and you don't know if they're going to find  
7 the problem, because all you've is SCADA data,  
8 which is pretty high. So, it's a way of getting  
9 at nested outages and evaluating it. It's a  
10 really, really hard thing to quantify, right?  
11 It's very, very hard to quantify that.

12           And then we fast forward -- and, by the  
13 way, during the (inaudible), we didn't even have  
14 the technology fully integrated. In a manual way,  
15 we were able to cancel 3300 work orders in D.C.  
16 and Maryland during our restoration effort, which  
17 is a huge, huge win.

18           Fast forward to Super Storm Sandy. We  
19 don't have AMI in New Jersey. New Jersey was in  
20 our territory where it was most hard hit. We did  
21 the best restoration effort in the state of New  
22 Jersey compared to all the other utilities, in

1 large part because our logistics were down. So,  
2 it was kind of an interesting problem, because we  
3 got a lot of kudos from people who understand the  
4 industry, not the customers who were out for four  
5 or five days as much but people who understand  
6 what it takes to restore massive outage.

7 My belief is we could have shaved at  
8 least hours off the restoration if we'd had AMI.  
9 You know, the restoration efforts always have a  
10 very noticeable trend, right? They start like  
11 this: You have a big drop-off where you're able  
12 to just restore our breaker level, and then you've  
13 got this tail where you've got smaller outages  
14 that take longer and longer to restore because you  
15 don't go to them first; you always try to get the  
16 largest number of customers back in the shortest  
17 period of time. AMI is a technology that helps us  
18 essentially clip the tail off of that, because you  
19 can simultaneously be working on those smaller  
20 outages while you're dispatching crews to handle  
21 the large outages. I haven't found anybody who's  
22 been able to help me figure out how to predict

1       what that percentage would be where the hours or  
2       the numbers -- we just know it's a clipping,  
3       because we're able to work in both streams at the  
4       same time.

5                   Also, there's a great opportunity for  
6       vendors in the outage management space, whether  
7       it's an outage management system or work  
8       management dispatch system, which is to come up  
9       with smarter and better algorithms around using  
10      the data. We pushed our vendor early on to  
11      integrate, actually, the bit processing into the  
12      outage management system, and they have done that,  
13      but there is, I think, still a tremendous  
14      opportunity to improve even further, and I'm  
15      continually telling vendors the company that  
16      solves this problem or begins solving the problem  
17      -- because it will be probably be evolutionary --  
18      is the business that's going to get my business,  
19      right? I don't have vendor loyalty; I have  
20      customer loyalty. I've got to do what's best for  
21      them.

22                   CHAIRMAN COWART: All right, thank you.

1 Tim?

2 MR. MOUNT: So, I also have a question  
3 for Karen. It's nice to hear that you have some  
4 projects that actually led to tangible cost  
5 reductions for customers. I'm thinking of the  
6 example you gave with voltage reductions, that  
7 they cannot detect -- I mean, doesn't  
8 inconvenience them. What actually happens to  
9 those savings? Do you share them with customers?  
10 Are you under sort of performance- based  
11 regulation? Can you talk a little bit about that?

12 MS. LEFKOWITZ: Sure. So, on the CVR,  
13 those savings are -- think about it as a voided  
14 cost to the customer so they're not spending the  
15 money. And so we would call that a savings to  
16 them, but they've never spent the money, because  
17 they never used the energy. The same would be  
18 true of anything that's a demand response program.  
19 So, the money that they're saving is generally, at  
20 minimum, the energy they're not consuming and  
21 therefore not paying for, and in addition they may  
22 get incentive dollars.

1           Now, on the operating efficiency side,  
2           the way that we set up our program is -- and the  
3           simplest example is manual meter reading. We  
4           actually demonstrated in the other jurisdictions  
5           how we decreased our operating expense for that  
6           dollar value, for whatever that jurisdiction's  
7           spend was on manual meter reading. And of course  
8           the problem is cost may be going down here but  
9           they may be going up here, so from a rate-making  
10          perspective, it may not be a tangible savings.  
11          The biggest savings, though, from AMI over the  
12          long run is the cumulative effect of providing  
13          either programs or information that drive  
14          consumers to consume less either directly or  
15          indirectly. So, CVR is sort of indirect; a demand  
16          response program would be more direct.

17                 The cumulative impact of that on a  
18          company that operates in the PJM market where  
19          we've got monetized markets is that the price  
20          curve has shifted down, so we're talking about  
21          changing the pricing on the generation side for  
22          these services, and then, again, it becomes an

1 economic study to determine what amount of that  
2 price shift can you attribute to changing the gas  
3 versus cold change that we see in the industry  
4 versus the actual change in demand from the  
5 customers. And, you know, economists can measure  
6 that and study it, and we've seen a substantial  
7 shift in that cost curve.

8 MR. MILLER: If I can answer that from a  
9 co-op perspective, we see savings of between 1 and  
10 4 percent energy when we do CVR on a rural feeder.  
11 Because we're not- for-profit, the cost reduction  
12 is directly into a situation. We have a simpler  
13 case than you do. (Laughter)

14 MS. LEFKOWITZ: Yes, much. You know, I  
15 should add, though, on the demand response  
16 programs that we're running, absent resolution of  
17 FERC 745, we receive funding -- we bid our demand  
18 reductions into the PJA market. We get payment  
19 for that. In all of our jurisdictions, our  
20 obligation is to give a hundred percent of that  
21 money back to the customer. So, we give that  
22 money back through incentive payments, and then

1       there's some kind of true-up mechanism, depending  
2       on -- it's varies by jurisdiction, but in  
3       Maryland, for example, we true it up on an annual  
4       basis through the surcharge they have for the  
5       Empower Maryland Program, which is an energy  
6       efficiency that the state runs.

7                   CHAIRMAN COWART:  David?  I think you're  
8       next.

9                   MR. TILL:  Fascinating panel.  A comment  
10       for David and a question for Vickie.

11                   First of all, David, I'm proud to be  
12       served by your smart grid, and when I can afford a  
13       house of the 21st century I'll look forward to  
14       participating more fully in what you do going  
15       forward.

16                   I was fascinated to read in the paper  
17       about that smart grid detecting a fire next to a  
18       home that was the homeowner's responsibility and  
19       ya'll reporting that to the homeowner and  
20       authorities, I believe, and you might want to  
21       expound on that more in a moment.

22                   Vickie, a question for you is -- you

1 mentioned that the greatest need for improvement  
2 in models is in the load models, and my question  
3 is: Are you speaking of specific large loads that  
4 need better models? Are you speaking of the -- I  
5 had the word a minute ago -- aggregation -- the  
6 aggregation of smaller loads that would beg for  
7 utilities to reinstitute their load research  
8 departments?

9 MS. VANZANDT: More the latter, I think.  
10 It all has a cumulative effect, so differences in  
11 home styles with vaulted ceilings instead of  
12 square footage -- it's cubic feet that need to be  
13 air-conditioned, so all of that -- and the  
14 characteristic of the load, not just the megawatts  
15 but the characteristic of the load is what's  
16 important. So, I think that just needs a fair  
17 amount of attention.

18 MR. MILLER: We are doing analytics as  
19 well, and, Vickie, I endorse your issue about load  
20 modeling. But our principal problem right now is  
21 to take power-flow models -- either open DSS or  
22 grid lot D -- and being able to calibrate them to



1 meters. I mean, people are running these models  
2 for planning purposes, but neither one  
3 auto-calibrates to interval reading for meters.  
4 So, we still have -- we think that's utterly  
5 critical or we can't trust the results. We're  
6 working on the PNNL now but it isn't solved. But  
7 we think it's critical, so.

8 MS. VANZANDT: I'd like to add one more  
9 thing. The generator modeling -- recalling that  
10 NERC had studied the 18 months' worth of the last  
11 disturbances that were more than insignificant and  
12 determined some causes or some factors that  
13 contributed to that outage. And, overwhelmingly,  
14 the number one factor was generators doing  
15 something unexpected -- actions. Generator models  
16 -- we don't simulate their turbine controls at  
17 all, so that's a missing element in the power  
18 system modeling. So, that needs some attention.  
19 We're vastly improving the dynamic performance,  
20 but if the turbine controls take the unit off, and  
21 that was anticipated or expected, then maybe our  
22 limits aren't quite right either.

1                   MR. MILLER: That brings to mind another  
2                   area we see as a deficiency when you talk  
3                   generators going back upstream from generators to  
4                   the boilers. We do not believe the current  
5                   generation of models for looking at the effects on  
6                   boiler deterioration due to more frequent cycling  
7                   is adequate. We have computational fluid dynamics  
8                   to look at the way the boilers operate. We have  
9                   finite element analysis to look at the structures  
10                  of the boilers. But nobody has yet integrated the  
11                  two so that we can tell how the life of a boiler  
12                  is impacted by changing its cycling. Those models  
13                  are not accurate, and they move staggering amounts  
14                  of money, because the value of the boiler  
15                  infrastructure is immense. NETL is working on it  
16                  now, but it's at least a year away from having  
17                  anything we can test.

18                  CHAIRMAN COWART: Paul?

19                  MR. CENTOLELLA: So, given that you've  
20                  got -- each of you have done some remarkable work  
21                  based on ARRA funds, and you talked about the  
22                  motivational aspects of those funds. I'd like to

1 sort of refer back. I don't know whether any of  
2 you were in the room yesterday, but we had a panel  
3 on great modernization, and one of the takeaways  
4 from that was the difficulty of moving new  
5 technologies that have passed proof of concept  
6 into actually being accepted into utility systems.  
7 And I'd like to get your thoughts about what can  
8 be done to take technologies that are not going to  
9 have \$4.5 billion behind them to move into the  
10 marketplace and create a stronger pathway for  
11 innovations to actually move into the utility  
12 systems, and are there things that this group  
13 could recommend to DOE that would help facilitate  
14 that movement.

15 MS. LEFKOWITZ: So, are we talking about  
16 -- because I wasn't here yesterday -- are we  
17 talking about, like, a small startup company that  
18 has some new innovative technology?

19 MR. CENTOLELLA: I can give you a  
20 specific example. One of -- oh, I guess Tim's  
21 left. Tim Heidel was here and talked about this,  
22 and one of the companies in his portfolio was a

1 company that does voltage equalization on the  
2 secondary distribution circuits and can get -- you  
3 know, instead of the percent and a half that  
4 you're getting in CVR you could actually get 5 to  
5 7 percent reductions in generation requirements by  
6 doing that. And I think Craig's co-ops have some  
7 demonstrations on that. But it's a company that  
8 has a few demonstrations out there and is looking  
9 to how to break into the commercial marketplace.  
10 How do you make something like that happen?

11 MS. LEFKOWITZ: So, utilities are or at  
12 least the IOUs are generally risk averse, and the  
13 reason they're risk averse is because of the  
14 regulatory obligations and the regulatory model  
15 that we operate in. So, you know, I can remember  
16 a case in New Jersey -- and I hope none of my New  
17 Jersey regulators are here -- where it didn't  
18 affect us, but another utility had done a pilot to  
19 try something out and they put a bunch of money  
20 and people behind it. And after a couple of years  
21 they'd go in for recovery and the commission just  
22 said no, you can't recover it. So, if you don't

1 think you're going to be able to recover the  
2 money, and there is no incentive for a utility to  
3 invest in something that they cannot recover from,  
4 so it creates -- it reinforces this idea that we  
5 don't take risks.

6           One of the risks associated with new  
7 technology is a small company, single brain trust,  
8 you know, two guys that are really, really smart  
9 working on something but it's not a marketable  
10 product that has a company behind it to manage its  
11 evolution and it's development over time. So, one  
12 of the things -- and I'll just give you a very  
13 simple example -- there was a company called  
14 Gridient that we thought was really smart. We  
15 thought that their visualization and modeling was  
16 about the best we'd seen, and we also thought that  
17 they were good enough that they were going to get  
18 eaten up by somebody else. So, we ended up  
19 cutting a contract with them that was a relatively  
20 small dollar amount, and we weren't, like -- we  
21 didn't want to, on the front end, bet a lot  
22 internally, right? So, we paid them to get the

1 product, and then they got purchased by LNG. Now  
2 they're owned by as company that's got some left  
3 behind them. We have some confidence that they're  
4 going to be around for a long time. Now we're  
5 starting to invest in leveraging that initial buy  
6 in developing the product. I think it's really  
7 hard to -- I mean, I've got to maintain stuff  
8 that's put out on the grid forever. And if the  
9 company is not around to support me, it's hard for  
10 me to justify doing it. It has to be a really big  
11 upside to risk it.

12 MS. VANZANDT: I would underscore the  
13 necessity that whoever is deploying anything has  
14 to see what's in it for them, so the communication  
15 about that -- I'll give you an example of a real  
16 desire in the West to have an independent  
17 generator deploy an PMU. It's up in the middle  
18 British Columbia coastline, and so it was my job  
19 to make the cold call and say: Please put a PMU  
20 in your substation. And they said: What's a PMU,  
21 and why should I be wanting to do that? Well, as  
22 a generator they are required every five years to

1 do their model validation. It's a NERC  
2 requirement. And typically they have to take it  
3 offline and run it through a bunch of tests and  
4 have some engineering out there. I said: You  
5 don't have to do that anymore; it will just let  
6 the natural bumps and wiggles on the system record  
7 your response, and that will be enough to validate  
8 your model. And they said: Well, where could I  
9 buy one of these then?

10 So, we've been able to explain the  
11 benefit to them personally to deploy  
12 infrastructure. And like I mentioned, the  
13 additional participants outside the grant spent  
14 their own money, and what they got in return was a  
15 common, wide- area view of the whole  
16 interconnection -- voltage, stability, modal  
17 analysis, all that sort of thing, flows on the  
18 transmission -- and they thought that was a  
19 benefit to them. So, they deployed PMUs in  
20 exchange for getting access to that wide-area  
21 view.

22 MR. MILLER: Paul, the general theory of

1 new technology penetrating a market is rooted in  
2 the research, but an economist called Robert Rose,  
3 who actually looked at the spread of diseases on  
4 the islands in the 1890s, concluded that diseases  
5 spread slowly when there aren't many infectors,  
6 and then they accelerate when there are a lot of  
7 infectors, and then they plateau when everybody's  
8 already sick. A simple of way of looking at it  
9 but, basically, demonstration is the only way to  
10 get it out there. We need to create infectors.

11           And I like working for co-ops, and even  
12 though she does really cool work and blows me away  
13 every time I hear her, I feel sorry for Karen that  
14 she doesn't have my job, okay? (Laughter) Sorry.  
15 Anyway, because co-ops -- we have 900+, so every  
16 circumstance you can think of. This type of  
17 circuit, this economy, this kind of growth, these  
18 kinds of loads -- you name it, we've got it  
19 somewhere, okay? So, in our community we can  
20 usually find somebody for whom this technology  
21 really looks like a good idea. And we are, in  
22 fact, demoing and testing the VAR control in Iowa.



1 Second, we don't have a lot of committees. You  
2 know, we sit around a pretty small table and make  
3 a decision, because we're a small organization.  
4 And, third, co-ops operate under seven principles,  
5 principle 6 of which is the co-ops cooperate. So,  
6 if something works somewhere, you're supposed to  
7 tell people about it.

8 So, we're small potatoes. I understand  
9 that. And we have very little co-ops --  
10 utilities. But we provide an ideal laboratory for  
11 trying new things, for proving them out -- rapid  
12 decision-making, circumstances that are highly  
13 favorable, okay? Wonderful customer relations.  
14 Our customers love us for the most part. The only  
15 smart grid problems we had is somebody kept  
16 shooting the fiber that we were putting up in  
17 Louisiana, and we attempted to install smart  
18 meters in what I would call a creative  
19 agricultural area in a remote part of Hawaii. And  
20 for some reason we had some issues there.

21 (Laughter)

22 So, we can help. Not the demonstrations

1 that we need to move the PEPCOs of the world and  
2 the Southern of the world but a place to get  
3 started on the really avant stuff.

4 CHAIRMAN COWART: Granger and then  
5 Carlos.

6 MR. MORGAN: Craig, you talked about  
7 conservation voltage reduction in long rural  
8 feeders. Do you want to say just a few more words  
9 technically about what you're doing?

10 MR. MILLER: Yes. We've come up with  
11 several approaches for doing CVR. Some of them  
12 are communications intensive, in which we do -- we  
13 put in a lot of voltage regulators, and we  
14 communicate back and forth to level the line out.  
15 But it turns out that a simpler approach is just  
16 to install capacitors. You install sufficient  
17 capacitance, because capacitors are really cheap,  
18 okay? So, you put in sufficient capacitance to  
19 get a relatively flat voltage drop where the  
20 lowest voltage on the entire line is at the first  
21 substation. Seriously. And then we boost from  
22 there and then we go down. Then we just need a



1       against the renewables, you know, particularly on  
2       the (inaudible)? What did that look like  
3       regarding stability and all that good stuff?

4                   MS. VANZANDT:  Yep, yep we did.  So, I  
5       failed to answer one question that I was supposed  
6       to, and that is:  Would this infrastructure be in  
7       place without the ARRA funding?  And the answer  
8       is:  Absolutely not.  I think probably we  
9       deployed, between the participants and the  
10      additional folks outside the grant, over 600 PMUs,  
11      and I think it would have taken 20 years to get to  
12      that level of instrumentation without the grant,  
13      so -- and a very compressed time schedule to get  
14      it installed.  So, that was all very good.

15                   Part of -- particularly in the  
16      Northwest, Bonneville's Balancing Authority has  
17      5,000 megawatts of wind, and it's all pretty  
18      concentrated geographically, and the  
19      instrumentation or the visibility of the wind  
20      farms there was not very good.  So, part of this  
21      grant deployed visibility at the collector  
22      stations for the wind.  And one of the purposes of

1       that -- because there wasn't very good visibility  
2       and because the ramps were so extreme, that  
3       Balancing Authority carried, likely, more reserves  
4       than they needed to, because they just didn't  
5       know. So, having a peek into what they're  
6       actually producing in addition to good wind  
7       forecasting has been able to pare down that amount  
8       of reserves that are being required to be carried.  
9       So, yes, it did have an impact on wind  
10      integration.

11                MS. LEFKOWITZ: So, I just want to add  
12      one thing, Hank. It's something that David said  
13      that I think is really just a fundamental problem  
14      that we have.

15                Our customers don't appreciate us, and I  
16      don't mean that because my feelings are hurt,  
17      right? It's not that, although occasionally they  
18      are. It's that they absolutely do not value, in  
19      the tangible way, what we do. And because  
20      customers don't value it, that will influence  
21      regulators at both the distribution level and the  
22      transmission level. One of my colleagues says

1 always: Electricity is what stands between us and  
2 the lack of civilization. Right? And it sounds  
3 very dramatic, but it's absolutely true, and yet  
4 customers are willing to pay two or three times  
5 what they pay for electricity for entertainment,  
6 cable TV, Internet, telephone and complain that  
7 their electricity bill is too high. So, I know  
8 I'm not going to change everybody's mind, but if  
9 you folks sitting in the room can solve one thing  
10 for us, all right -- it's increased, in peoples'  
11 minds, the value of electricity, because  
12 everything else -- I mean, we should be regulated.  
13 We are a monopoly. At least I represent a  
14 monopoly. We should be regulated. But we know  
15 that our regulators have an average tenure of  
16 three years on the distribution side. They don't  
17 necessarily understand the industry, and they are  
18 subject to the pressures that their constituents,  
19 which are the consumers, bring to them. So, it's  
20 very hard for them to withstand the pressure of  
21 saying: You're not allowed to earn more money,  
22 and everything that you're spending on could be --

1 somebody else could do something better with that  
2 money. Really? Really? Better than having  
3 electric power continuously at your beck and call?  
4 That magic, when we flip a switch the lights come  
5 on and some generator somewhere is ramping up, and  
6 millions of things are happening automatically?  
7 Better than that? Like, what's better than that?  
8 (Laughter)

9                   So, anyway, I just put that out there,  
10 because it would be really useful if we could get  
11 people to understand the value of what we do.

12                   CHAIRMAN COWART: Anjan, you're next.

13                   MR. BOSE: A question for Vickie --  
14 actually, two related questions.

15                   On the PMU applications, many of the  
16 things that you've shown were more to better the  
17 reliability of the grid. Did you do calculations  
18 in the West about how much money is being saved  
19 because of the deployment of PMUs? And the  
20 related question is: Whenever I talk to the  
21 people who did the SGIGs for the distribution or  
22 PMI, they always seem to have to go to the Public

1 Utility Commission to justify their part of the  
2 cost of this. Did any of the people, like  
3 Southern California or PG&E have to do the same  
4 thing for PMU deployment?

5 MS. VANZANDT: Well, I can't speak for  
6 those utilities, whether they went -- actually,  
7 all of the utilities deployed their own PMUs at  
8 their cost, and the Smart Grid Grant money was  
9 spent for the integration and the communication  
10 and the advanced applications. So, I can't speak  
11 to whether the utilities had -- of course they  
12 would have had to get relief from their  
13 commissions for that deployment, but that was  
14 their case to make.

15 We did do some benefit analysis related  
16 to taking a generator offline to do its model  
17 validation -- old version versus new version where  
18 you just leave it online and gather information  
19 over the year to do that. So we used a case study  
20 of the nuclear plan in the tri-cities, and it was  
21 depending on the outage avoidance time. It was  
22 between \$700,000 and, you know, enormous money.



1       So, that's really the only cost that we've  
2       quantified.

3               I think when the cost of reserves  
4       savings can be quantified after a period of time,  
5       that would be another one to do a case study on.  
6       We did not ask for specific permission or  
7       authorization to go forward with synchrophasors,  
8       nor did we ask for specific authorization for our  
9       distribution automation, the sectionalizing  
10      reclosure technology. So, we treated that as  
11      normal distribution expansion, and the  
12      transmission work was run through PJM.

13              CHAIRMAN COWART: All right.

14              MR. KENCHINGTON: Okay, can I --

15              CHAIRMAN COWART: Do you have a  
16      concluding comment?

17              MR. KENCHINGTON: Yes, just some  
18      concluding comments.

19              Just two things. One, Craig, on the  
20      cybersecurity it's really great when a plan comes  
21      together. Thank you. Just a little background  
22      there. I don't know if you recall back in, I

1       guess, 2009 there weren't any really proven  
2       methodologies or standards on how to deploy these  
3       things securely. So, across the government, there  
4       was, with the phones ringing, right? -- DHS is  
5       calling, FERC is calling, and the Congress is  
6       calling and the White House is calling and saying:  
7       Are you really going to fight all this funding to  
8       deploy these smart meters and all these standards?

9                 So, what I did was, just to give you a  
10       little story, I called together a team. I brought  
11       in all those parties -- DHS, FERC, CIA, NIST --  
12       had them in the room, and I said: This is the  
13       biggest opportunity we have to improve  
14       cybersecurity across the sector. I thought they  
15       were going to fall off the chair, because they're  
16       all, like: Oh, my God, this is not going to work.  
17       So, I'm really glad to hear that.

18                MR. MILLER: Hank, when we started  
19       working on it with our approach, we briefed you.  
20       I didn't know you were on the telephone, and I was  
21       holding my breath, because it was an  
22       unconventional approach, and you said: Great,

1 keep going, go farther, go faster. And it's been  
2 fabulous. I think this grant measurably -- this  
3 program measurably changed the cybersecurity  
4 posture of the electric (inaudible) industry in  
5 the United States.

6 MR. KENCHINGTON: Great.

7 MR. MILLER: And globally. It's a huge  
8 success, and in the blizzard of all the stuff that  
9 we installed, that can't be lost. That was one of  
10 the successes.

11 MR. KENCHINGTON: And the second comment  
12 is I want to thank all of you for the last five  
13 years. It's been a fun ride. Thank you very  
14 much.

15 (Applause)

16 CHAIRMAN COWART: Thanks to you all.  
17 It's a terrific panel. I appreciate it.

18 I have an announcement before we turn to  
19 our last two items, I think, and that is that  
20 we've been sending around a work product sign-in  
21 sheet, and if anybody didn't see it yet or have  
22 the chance to sign up for the projects that are

1       underway, please come up here and sign it at some  
2       point before you leave today. I think it's gotten  
3       around, but it may be that it missed somebody.

4                 We have a couple of subcommittee  
5       reports, and at the conclusion of this meeting we  
6       have the opportunity for members of the public who  
7       have signed up to address the committee. So, let  
8       me ask at this time: Are there any members of the  
9       public present who wish to address the committee  
10      today? I see none. Okay, so it may be that our  
11      meeting will conclude a little bit early.

12                So, David, are you ready to discuss the  
13      subcommittee?

14                MR. TILL: I am ready, and I thank you.  
15      I can't say enough about how wonderful that last  
16      panel was and how grateful I personally am for  
17      DOE's appropriation of that ARRA money for that  
18      particular purpose. And Karen asked: What can be  
19      better? The only thing that I can think of that  
20      can be better is "more." And that's where we're  
21      headed with this VAR paper -- is addressing an  
22      issue that can disrupt that "more." Every grid

1 issue that gets solved produces eventually, I  
2 believe, another issue that needs to be solved  
3 that is more complex, more sophisticated, takes a  
4 lot more thinking, entertains engineers,  
5 aggravates financial people. But it keeps getting  
6 better. In my 35 years in the industry, it's just  
7 gotten better.

8           You have in your material for this  
9 meeting an outline of the value of a VAR paper,  
10 and Carl has done so much work and excellent work  
11 on it. And he has filled out some of that paper,  
12 because in addition to providing a status this  
13 afternoon, or barely morning, I want to give you  
14 an opportunity to avail of that paper that has  
15 gone around for the value of a VAR paper. If you  
16 haven't signed up to assist, we're going to ask  
17 for some more authors.

18           And one of the things that I want to do  
19 with this report is to provide a historical and a  
20 human context associated with that paper in the  
21 interest of supplying a little bit more even than  
22 Carl has.

1           If you look at the grid from the very  
2 beginning, there was a solution in search of a  
3 problem associated with the grid. As generally  
4 municipalities would set up power plants and start  
5 to electrify the town, there was voltage support  
6 represented within their local generator. And  
7 their local generator had a feature that they  
8 didn't particularly think about. It could supply  
9 not only steady state VARs to provide voltage  
10 support that was needed for problems on the  
11 system, that there was plenty of time to today,  
12 say, switch a capacitor in, switch some device in  
13 to respond to and solve it. But these generators  
14 also had within them and in their rotational  
15 inertia a response for providing quickly acting  
16 dynamic VARs. And they didn't think about it  
17 then, because it was a solution in search of a  
18 problem. We didn't really need dynamic VARs at  
19 the time.

20           But as the system developed and as  
21 transmission came more into being, as it became  
22 more of a skeletal grid, then there was need for

1 remote voltage support but it was generally  
2 supplied in large measures by synchronous  
3 condensers. And those synchronous condensers  
4 applied because capacitors were not reliable and  
5 could not be built in the large magnitudes of  
6 support that were needed in the day. They were  
7 dynamic also, so you had a system rich in dynamic  
8 support and still no particular need for that  
9 dynamic support.

10           And then capacitors -- as the grid grew  
11 capacitors became reliable, became so much more  
12 cheap than synchronous condensers. They didn't  
13 have the issues with maintenance. They didn't  
14 have as much initial cost. They cost less to  
15 operate, because their losses were significantly  
16 less. And so we have grown, over time, from a  
17 system that was rich in something -- that we paid  
18 no attention to dynamic VARS that weren't needed  
19 -- into a system where we're starting to discover  
20 the problems that require the dynamic VARs in  
21 order to keep the reliability of the system.

22           But in the meantime, we've been pushing

1       toward being rich in steady-state voltage support  
2       that requires switching capacitors and other  
3       devices. And then we start retiring co-units,  
4       which were a big part of the injection of dynamic  
5       VARs under our system. And then we have fault-  
6       induced delayed voltage recovery problems,  
7       cascading voltage collapses in large megapolises  
8       with huge concentrations of air-conditioning. But  
9       we've got air problems in the area, so we don't  
10      want to burn coal in those areas, and we start to  
11      develop the dynamic that requires some engineers  
12      and financial people and other interested  
13      stakeholders, including the environmental people,  
14      to work together on setting up the voltage support  
15      for the future.

16                So, this paper has to do with that  
17      problem. And while we want to capture the general  
18      context of the grid that is producing the need, we  
19      also want to be specific enough to tell DOE to  
20      provide you with a recommendation where you can  
21      fulfill what we see as your greatest contribution,  
22      as Billy said yesterday, of the fundamental



1 research and development to help us and to  
2 kick-start us in being able to together solve this  
3 problem.

4           So, we want to be specific enough, have  
5 the papers say specific enough things to be able  
6 to support recommendations, and that gets us into  
7 this situation where we're going to be addressing  
8 -- there's a need for dynamic bars, there's a need  
9 for steady-state bars, there's a need to know how  
10 much of each we need. And we don't really have  
11 that answer to the sophisticated end that we need  
12 to have it today. Although I'll always take the  
13 opportunity to brag on how well we've done, we  
14 need to go further.

15           So, do we want to send that paper around  
16 again, or do you all just want to line up while I  
17 finish my comments?

18                           (Laughter) Several years ago, TVA  
19                           conducted a stability

20           Workshop and was happy that NARC joined  
21 us and made it a joint event. And in the back of  
22 my mind, what I wanted to have was the Woodstock

1 of electric workshops. So, as I had pondered  
2 that, I was somewhat gratified to learn -- how  
3 many of you know Bob Dintelman, who used to head  
4 the predecessor to WEC? Bob Dintelman was one of  
5 our participants, one of our speakers, and he got  
6 to tell how he went on the Today Show and  
7 explained about the California collapse and  
8 explained that you shouldn't look for that to  
9 happen often. And I'm not sure he'd gotten clear  
10 of the NBC Studio -- it may have been the day  
11 after, but he got a call: "Bob, it's happened  
12 again." But Bob, at the time, had a rock band --  
13 at the time of our workshop had a rock band called  
14 Stucco Dogs, so during the breaks we'd play the CD  
15 that he had with him, because we wanted this to be  
16 the Woodstock of workshops.

17 And as I circulated through there -- and  
18 we had a bunch of heavyweights -- Paul DeMello  
19 from the Northeast who branched off with other  
20 what I've heard referred to as Godlike ones to  
21 form their own company. Paul was in his 80s, and  
22 he traveled to speak, and half the people there

1       came to see him, because he had taught them at  
2       different times. And I circled through this  
3       crowd, and I was constantly asking them: How are  
4       we doing? Is this meeting your needs and why,  
5       what need is it meeting? And to a person, they  
6       were quite complimentary of the workshop. They  
7       had different needs that were being met. But the  
8       one that stuck with me the most and is relevant  
9       for this status update is the young man from  
10      Southern Company, who, a very sincere and  
11      competent smart guy -- and I've always been  
12      impressed with Southern stability people -- looked  
13      at me and he started to tear up. And please  
14      listen to this, because is a powerful thing. With  
15      tears forming in his eyes -- never dropped down  
16      his cheek, mind you, just teared up, just the  
17      right amount -- he said: David, I'm just glad to  
18      be in a room full of people that know what I do  
19      for a living.

20                               (Laughter) And that's part of the  
21                               gap that this paper is driving to  
22                               close. (Laughter)

1                   At TVA, we have these people, too. When  
2                   I was over at the Transmission Planning  
3                   Department, I managed them, and I found that there  
4                   was always a bit of a gap there -- sometimes a  
5                   chasm, sometimes a smaller gap. But we're looking  
6                   to close that gap where when these people warn us  
7                   that we need to put something on the system -- and  
8                   they don't always know what we need to put on the  
9                   system but we've got this problem that needs to be  
10                  solved -- that we know enough to communicate with  
11                  them and not necessarily with all of the  
12                  go-betweens that we use now to bridge those  
13                  communication gaps, and on the one hand to  
14                  appropriately challenge them, because if Marilyn  
15                  Brown were here -- my son told me what he learned  
16                  in her class: Dad, they approach things  
17                  differently than engineers. We're presented a  
18                  problem and we say our job is to solve it. The  
19                  first thing that these policy people do is they're  
20                  presented a problem and they ask: Is it really a  
21                  problem, and we need to have that discussion with  
22                  these very directed stability people. But we need

1 to have the communications that when they're right  
2 we know more quickly that they're right. And we  
3 prepare the grid so that it keeps on chugging,  
4 keeps on chugging, keeps on making life better.

5 So, you have the outline. I've tried to  
6 entertain and give color to it. I'm going to  
7 stake out up here to stay out of the stampede  
8 (laughter) to the group that signs up to help. I  
9 was gratified yesterday that Mark Lauby, as we  
10 talked in a break, got excited and he's going to  
11 fill out a bunch of the stuff.

12 Thank you. Questions?

13 CHAIRMAN COWART: No, it's not a  
14 question. I just want to congratulate you on your  
15 sales talk and services. It came across a little  
16 bit like a sermon, which is pretty good.

17 MR. TILL: It was the only way I could  
18 follow that last group -- was to go southern  
19 preacher. (Laughter)

20 MR. ZICHELLA: It's like having Will  
21 Rogers as your committee chairman.

22 CHAIRMAN COWART: Thank you so much.

1 Merwin is not with us to deliver the next report  
2 from the Storage Subcommittee, but I believe  
3 Carlos is on tap, right? Oh, no. Thank you.

4 MR. SHELTON: I don't know how to follow  
5 the southern preacher, so I don't know what I'm  
6 going to do. (Laughter) I think -- I want to start  
7 with covering, real quick, what the plans are.  
8 So, we've covered already the distributed energy  
9 storage and electric grid white paper and we've  
10 discussed that, so I don't need to cover that.  
11 That's work product this year that we're doing  
12 jointly with the smart grid group. That's  
13 expected to be finished this year.

14 And before I go into the next item, I  
15 want to point out that starting next year we'll  
16 have the biannual program assessment, which we  
17 just completed in 2014. We'll have that coming up  
18 again.

19 But in between that time, we've  
20 identified, as a group, mainly coming with some  
21 suggestions from myself and others that there be  
22 an opportunity to look at the implications of a

1 high penetration of energy storage on the overall  
2 grid system, and before I describe that any more,  
3 I want to say as a subcommittee -- you know, we're  
4 called Energy Storage as a subcommittee -- we're a  
5 formal subcommittee, and we do have other  
6 subcommittees that are broader in nature than  
7 energy storage. And when we say "energy storage,"  
8 what comes to mind is technology. But I think  
9 what we are talking about with this study is  
10 hitting on the edge of what was discussed this  
11 morning, and the work that PNL is doing is that  
12 storage has a category of capabilities that it is  
13 beginning to lend to the system overall and that  
14 those capabilities themselves and the implications  
15 of those capabilities en masse haven't been  
16 studied very much. So, the idea of this paper is  
17 similar to what happened with the ideas of  
18 renewable penetration coming into this system.  
19 What would the implications be of various levels  
20 of renewables on the system?

21 I think we haven't done that in a pure  
22 way, and we haven't seen studies that have done

1 that in a comprehensive pure way, focused on the  
2 characteristics and capabilities of storage. So,  
3 that's really, to frame what this proposed work  
4 is, that's what we're talking about. And, again,  
5 storage has been studied, and we will, as part of  
6 this study that we're proposing, include the  
7 penetration analysis done in relation to  
8 renewables, but we will focus on framing scenarios  
9 and sets of implications that could be drawn from  
10 those scenarios from various levels of penetration  
11 of storage. And, again, keep in mind, our  
12 subcommittee name is Energy Storage. I keep  
13 saying that, because of course the implications  
14 that come from high levels of penetration of  
15 storage could be similar implications that would  
16 come from high levels of penetration of other  
17 technologies or combinations of technologies in  
18 different applications. So, we're not trying to  
19 say storage exclusively, and of course we would  
20 include in the scenario analysis a mention of and  
21 consideration of a host of technologies all  
22 working collectively in an architecture like the



1 ones we were hearing about this morning. So, we  
2 would necessarily keep that context of course.

3 But given that our focus is on energy  
4 storage and the white space perhaps around which  
5 DOE could continue the research, we're proposing  
6 this type of study. So, I think, you know, we're  
7 at the early stage of adoption of storage, but  
8 we're talking about hundreds of megawatts now.  
9 And to put a little more concrete example behind  
10 what we mean, you know, what we're talking about  
11 in terms of implications, you might have seen a  
12 similar graph like this for solar PV 10 years ago  
13 -- probably less than 10 years ago -- and now we  
14 have massive adoption of that coming our way, and  
15 we've heard that California now gets 5 percent of  
16 its energy from solar PV. So, that is a  
17 significant shift that can happen in a short time.  
18 We think we're on the cusp of that here. Many  
19 other folks do, and a lot of us on the committee  
20 have talked about this as a potential. So, we,  
21 with the paper talking about getting in front of  
22 it.

1           To give one example -- or two examples,  
2 California being one. The target for energy  
3 storage in California is 1300 megawatts of  
4 storage, and a lot of that is fast acting.  
5 Already over 250 megawatts have been selected  
6 through procurements under those targets in excess  
7 of the targets that were necessary in this  
8 timeframe. So, we're seeing this adoption come  
9 quickly.

10           The frequency regulation market of the  
11 state is around 250 megawatts. So, if we have  
12 1300 megawatts of storage in the state, it would  
13 start to subsume -- the capabilities of that set  
14 of assets would subsume all of the ancillary  
15 services of the state. This is just one example.  
16 So, how will that interact with those markets?  
17 What would it mean to the stability of the system  
18 -- those implications? We'd like to point, study,  
19 and direct the implications of this technology  
20 evolution with this paper and hope to see that it  
21 would encourage DOD to take a look at it.

22           Another example is Texas where Encore

1 has proposed over a thousand megawatts of storage.  
2 You have similar implications in that state where  
3 you have critical peak pricing driving the price  
4 formation for the wholesale electricity market.  
5 If you see thousands of megawatts of storage  
6 introduced that can deal with the three-hour peak  
7 in that state, it completely changes those models  
8 as well. Not trying to be prescriptive about  
9 models or market structures but just trying to  
10 talk about the implication of a mass presence of  
11 storage, which is possible in a lot of scenarios  
12 and which is being modeled I the overall  
13 architecture analysis.

14 So, I just wanted to give those as a  
15 couple of examples, and I think these implications  
16 relate to many of the topics that we've talked  
17 about. I already mentioned the architecture. I  
18 think the PMU discussion really points to our  
19 knowledge, the speed of our knowledge, and then  
20 what do we actually want to do with that  
21 knowledge, and a lot of the capabilities of the  
22 inverter-based controls and storage relate back to

1 that as well. So, it's quite relevant to a lot of  
2 the topics that were covered here.

3 So, these are some of the things similar  
4 to what I just mentioned that we had on the  
5 slides. So, I don't need to belabor these points,  
6 given that we're rounding out the day. But I  
7 would like to get feedback on what we're  
8 proposing. Without going point by point, you have  
9 seen the approach to this paper. So, with that  
10 and with the time that we have, I think I'd open  
11 it up for feedback and thoughts.

12 CHAIRMAN COWART: Comments or questions.  
13 Paul?

14 MR. SHELTON: Before we take that --  
15 sorry -- the timeline is that we would finalize an  
16 outline in the next month or so and be able to  
17 talk meaningfully about it -- an outline that  
18 we've had feedback on -- and we would consider  
19 what Carlos has been doing with the expert  
20 interviews. We'd think about that approach for  
21 this as well.

22 CHAIRMAN COWART: Paul?

1                   MR. CENTOLELLA: So, one of the things  
2                   that I would encourage you to at least think about  
3                   is -- you're looking at high penetrations of  
4                   storage -- is to think functionally rather than  
5                   technologically in terms of storage.

6                   MR. SHELTON: Definitely.

7                   MR. CENTOLELLA: So, I mean, some of us  
8                   have talked about the fact that there is, for  
9                   example, a potential study in California which  
10                  suggests that if you just manage the dead bands in  
11                  thermostats, in water heaters, and in  
12                  refrigerators throughout the year there's  
13                  potential for 9 gigawatts of storage in just the  
14                  residential sector in California, and for 2,000  
15                  hours of the year there's as much as 20 gigawatts  
16                  of potentially movable load that is, in effect,  
17                  virtual storage. And that is something that  
18                  potentially could happen much more quickly than  
19                  the technological options in terms of changing the  
20                  whole way in which the power system operates. So,  
21                  if you broaden the definition to a functional  
22                  rather than a technological definition, you end up

1 thinking about this, I think, in potentially quite  
2 different ways.

3 MR. SHELTON: I think we would  
4 definitely define characteristics that would be  
5 present in storage that would be present in other  
6 technology forms, I guess. Include that in the  
7 analysis, if that makes sense.

8 CHAIRMAN COWART: Have you discussed, as  
9 part of this paper, the question of increased  
10 penetration of storage that would accelerate the  
11 drive for distributed energy customers, like PV  
12 customers, to either accelerate their move to PV  
13 or decide to disconnect from the grid altogether  
14 because they can connect their solar panels to  
15 advanced batteries?

16 MR. SHELTON: The discussions so far  
17 have been around the system as a whole and the  
18 implications that if you had an ever-present --  
19 you know a storage that was present across the  
20 system, obviously in different scenarios that we  
21 can analyze, so we should talk about whether this  
22 should be a scenario.

1                   But the idea is that it's the grid and  
2                   what it means for the grid as a system, and what  
3                   we have talked about would be the implication for  
4                   reliability expectations on distributions systems,  
5                   right? So, you could envision a very stable  
6                   system with a lot of dynamic VAR control, to go  
7                   back to the previous -- with a lot of frequency  
8                   stability that would be driven by the power  
9                   electronics capabilities if they were in the right  
10                  sort of dynamic system architecture, right? So,  
11                  that's the idea, I think, that we were coming from  
12                  and how it would impact distributed resources. We  
13                  had not thought about defection or anything like  
14                  that at that point.

15                  I'll let anybody else on the committee,  
16                  if we've talked about that. I don't think we've  
17                  covered --

18                  CHAIRMAN COWART: Carl.

19                  MR. ZICHELLA: The one thing I would add  
20                  -- first of all, I want to agree with Paul. I  
21                  think we did talk about looking at the attributes,  
22                  characteristics you're trying to gain and being

1 somewhat technology neutral in how you approach  
2 that. There's only so much of that you can do  
3 when there are trends unfolding right in front of  
4 you, like EVs for example, which even though we  
5 haven't, as Carlos said, got a lot of feedback  
6 from some of our experts on that topic. It is  
7 something that's happening in real time. There  
8 are attributes that can be captured, and their  
9 impacts on the system can be very significant.  
10 So, it is something I think we need to get our  
11 arms around. I don't think we've so far yet, on  
12 the committee, gotten that nailed as to how we  
13 would go about that. But that's a lingering  
14 question that is a gap in our analysis so far.

15 MR. SHELTON: I would add that the idea  
16 is to envision a world that perhaps we've been  
17 unwilling to allow ourselves to envision, to  
18 really understand its implications, right? I  
19 mean, it's similar to a high-penetration renewable  
20 analysis that would have been done 8 years ago.

21 CHAIRMAN COWART: Carlos.

22 MR. COE: And I think the market studies



1       that we've been looking at in the DES space, the  
2       scenario that you painted -- that's one of the key  
3       drivers that they show for the rapid growth of DES  
4       as storage associated with solar. So, it will be  
5       included in this white paper. In that, we'll just  
6       ask questions that will lead into scenario  
7       analysis of this paper.

8                 MR. SHELTON: And we're not planning to  
9       do the work. We're planning to envision the work  
10      that hopefully we could encourage DOE to do.

11                CHAIRMAN COWART: Pat's happy to hear  
12      that we'll be asking her to do more. (Laughter)

13                Any further discussion on this point?

14                MR. SHELTON: So, an equal call for --  
15      please don't stampede us to work on this one, but  
16      it would be nice to get broad perspectives, so if  
17      you're interested in it please put your name on  
18      the sheet.

19                CHAIRMAN COWART: The page is still  
20      here, and we're making progress.

21                MR. SHELTON: Okay, good.

22                CHAIRMAN COWART: Is there more from the

1 subcommittee?

2 MR. SHELTON: No, that's it. We just  
3 wanted to identify the work that we're doing.  
4 This is the outline that we've been talking about  
5 and the types of implications. And, again, it's  
6 focusing on -- you know, like the subtext here,  
7 "Promise and potential versus confusion and  
8 controversy" is probably a good way to  
9 characterize it. But this was Merwin's prepared  
10 material. I just did a higher- level frame of it  
11 here. If you want to look at it, it was sent  
12 around.

13 Okay.

14 CHAIRMAN COWART: Thank you. Thank you.  
15 Is there any further business to come before the  
16 committee today?

17 Anjan.

18 MR. BOSE: This refers back to the  
19 question that was raised by Bill Parks and his  
20 group yesterday as to looking at their plans and  
21 for some comments from EAC, and I was wondering --  
22 I was just going to make a suggestion that the

1 Smart Grid Subcommittee had the work group on R&D,  
2 and maybe that's the group that should actually  
3 take a look at the documents that are coming out  
4 of that group and try to have some comments,  
5 whatever, that the EAC is appropriate to do.

6 CHAIRMAN COWART: Wanda, did you have a  
7 comment on that?

8 MS. REDER: Clark's trying to hide.  
9 Anjan, I think you're right. It needs a home, and  
10 smart grid is probably a reasonable place. We'll  
11 figure out how to get that done, but it's good  
12 feedback.

13 CHAIRMAN COWART: David.

14 MR. GELLINGS: Well, as one person who  
15 has been involved in the development of that  
16 paper, I can tell you the scope of it is very  
17 broad. It's much bigger than just smart grid, so,  
18 yes, in an operational sense, an administrative  
19 sense, somebody needs to take on organization of  
20 the committee's comments. But I'm hoping we're  
21 going to hear from many people across the  
22 committee.

1                   CHAIRMAN COWART: I don't think he'll  
2                   object to that.

3                   MS. REDER: Not at all. Yes, in fact --  
4                   yes, I think a full EAC review and coordination  
5                   amongst the committees to figure out ownership, we  
6                   need to take it on like that probably.

7                   CHAIRMAN COWART: Okay. Any further  
8                   discussion? Samir.

9                   MR. SUCCAR: Just really briefly, I want  
10                  to make sure that everybody sees the dates for the  
11                  next two meetings up on the screen right now, and  
12                  make note of the fact that the presentations, the  
13                  slide decks that have been shown over the last two  
14                  days, will be circulated early next week with a  
15                  confirmation of all the names that we have for the  
16                  various working groups, so please watch for that  
17                  email. It will be a long one, but it'll be an  
18                  important one, and I'd appreciate your feedback  
19                  and comments if we got anything wrong.

20                  Thanks.

21                  CHAIRMAN COWART: Before we conclude,  
22                  are there any members of the public present who

1       have signed up to address the committee? I see  
2       none. Therefore, we've concluded our business,  
3       and we can stand adjourned.

4                   Thanks very much, everybody.

5                   (Whereupon, at 12:25 p.m., the  
6       PROCEEDINGS were adjourned.)

7                   \* \* \* \* \*

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

## 1 CERTIFICATE OF NOTARY PUBLIC

## 2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary  
4 public in and for the Commonwealth of Virginia, do  
5 hereby certify that the forgoing PROCEEDING was  
6 duly recorded and thereafter reduced to print under  
7 my direction; that the witnesses were sworn to tell  
8 the truth under penalty of perjury; that said  
9 transcript is a true record of the testimony given  
10 by witnesses; that I am neither counsel for,  
11 related to, nor employed by any of the parties to  
12 the action in which this proceeding was called;  
13 and, furthermore, that I am not a relative or  
14 employee of any attorney or counsel employed by the  
15 parties hereto, nor financially or otherwise  
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of  
20 Virginia

21 My Commission Expires: November 30, 2016

22 Notary Public Number 351998

Respectfully Submitted and Certified as Accurate,



---

Richard Cowart  
Regulatory Assistance Project  
Chair  
DOE Electricity Advisory Committee

5/12/2015


Date



Irwin "Sonny" Popowsky  
Pennsylvania Consumer Advocate  
Vice-Chair  
DOE Electricity Advisory Committee

5/12/2015

Date



---

David Meyer  
Office of Electricity  
Designated Federal Official  
DOE Electricity Advisory Committee

5/12/2015

Date



---

Matthew Rosenbaum  
Office of Electricity  
Designated Federal Official  
DOE Electricity Advisory Committee

5/12/2015

Date