

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Thursday, March 17, 2016

1 PARTICIPANTS:

2 JOHN ADAMS
Electric Reliability Council of Texas

3
4 JAN AHLEN
National Rural Electric Cooperative Association

5 WILLIAM BALL
Southern Company

6
7 CAROL BATTERSHELL
U.S. Department of Energy

8 VENKAY BANUNASAYANAN
National Rural Electric Cooperative Association

9
10 ANJAN BOSE
Washington State University

11 MERWIN BROWN
University of California

12
13 MARILYN BROWN
Tennessee Valley Authority Board of Directors

14 CAITLIN CALLAGHAN
U.S. Department of Energy

15
16 MICHAEL CARAMANIS
Boston University

17 PAULA CARMODY
Maryland Office of People's Counsel

18
19 PAUL CENTOLELLA
Paul Centolella & Associates

20 LELAND COGLIANI
Lewis-Burke Associates

21
22 RICHARD COWART
EAC Chair

1 PARTICIPANTS (CONT'D):

2 PHYLLIS CURRIE
Midcontinent Independent System Operator Board

3 MICHELLE DALLAFIOR
4 U.S. Department of Energy

5 LIZ DALTON
U.S. Department of Energy

6 DEEPAK DIVAN
7 Georgia Institute of Technology

8 RACHEL FINAN
ICF International

9 CLARK GELLINGS
10 Independent

11 DEVIN GLADDEN
U.S. Department of Energy

12 SONJA GLAVASKI
13 U.S. Department of Energy

14 HONORABLE PATRICIA HOFFMAN
U.S. Department of Energy

15 CARL IMHOFF
16 Pacific Northwest National Laboratory

17 KIM JOYCE
U.S. Department of Energy

18 BILL KALLOCK
19 Integral Analytics

20 KIRAN KUMARASWAMY
AES Energy Storage

21 COMMISSIONER CHERYL LAFLEUR
22 Federal Energy Regulatory Commission

1 PARTICIPANTS (CONT'D):

2 MARK LAUBY
North American Electric Reliability Corporation

3
4 LOGAN LEE
Inside EPA

5 MAUREEN MALLOY
ICF International

6
7 ELI MASSEY
U.S. Department of Energy

8 DAVID MEYER
U.S. Department of Energy

9
10 PHIL MIHLMESTER
ICF International

11 JEFF MORRIS
Washington State House of Representatives

12
13 TIM MOUNT
Cornell University

14 WILLIAM PARKS
U.S. Department of Energy

15
16 CHELSEA PELLECCIA
ICF International

17 SONNY POPOWSKY
EAC Vice Chair

18
19 ANNE PRAMAGGIORE
Commonwealth Edison

20 WANDA REDER
S&C Electric Company

21
22 PAUL ROBERTI
Rhode Island Public Utilities Commission

1 PARTICIPANTS (CONT'D):
2 MATTHEW ROSENBAUM
U.S. Department of Energy
3
4 HEATHER SANDERS
Southern California Edison
5
6 CHRIS SHELTON
AES Energy Storage
7
8 PAM SILBERSTEIN
National Rural Electric Cooperative Association
9
10 RAMTEEN SIOSHANSI
Ohio State University
11
12 MERRILL SMITH
U.S. Department of Energy
13
14 SAMIR SUCCAR
ICF International
15
16 ROY THILLY
Independent
17
18 MARY TOLER
Battelle
19
20 GORDON VAN WELIE
Independent System Operator, New England
21
22 ANDY WEINSTEIN
Federal Energy Regulatory Commission
23
24 CARL ZICHELLA
Natural Resources Defense Council

* * * * *

1 P R O C E E D I N G S

2 (1:00 p.m.)

3 CHAIRMAN COWART: Good afternoon. It's
4 nice to see you all. This is a meeting of the
5 Electricity Advisory Committee of the U.S.
6 Department of Energy. And as most of you know --

7 (Discussion off the record.)

8 CHAIRMAN COWART: I'll start again.
9 This is a meeting of the Electricity Advisory
10 Committee of the U.S. Department of Energy. And
11 as people here know, this is an official meeting
12 that's being transcribed. The transcription will
13 be available to the public and so it's important
14 when we're speaking to turn on your mic and speak
15 clearly. And when you're not speaking, to turn
16 off your mic so that there will be less feedback.
17 We hope we can get that under control.

18 As is customary for each of these
19 meetings, there's a public comment period
20 availability. And we have a sign-up sheet for any
21 members of the public who are in attendance or who
22 wish to come and speak to the Committee. And I

1 just want members of the public to be on notice
2 that that public comment period is tomorrow at the
3 end of the meeting and that they need to sign up
4 in advance for that.

5 We should, I think, take a moment to go
6 around the table and introduce ourselves. We
7 don't see each other often enough, unfortunately,
8 although a lot of you have been seeing each other
9 quite often, I think, or at least on the
10 telephone. There's been a lot of activity between
11 meetings here and preparing the committee's work
12 products and bringing the working groups together.

13 So I'll just start. I'm Richard Cowart
14 from the Regulatory Assistance Project and chair
15 of this Committee.

16 MS. HOFFMAN: Pat Hoffman, Assistant
17 Secretary for the Office of Electricity Delivery
18 and Energy Reliability.

19 MS. DALTON: I'm Liz Dalton. I'm Pat
20 Hoffman's Deputy in the Office of Electricity.

21 MR. MEYER: David Meyer, Office of
22 Electricity.

1 MR. ROSENBAUM: Hi. I'm Matt Rosenbaum.
2 I'm the designated federal official of this EAC
3 Committee.

4 MR. GLADDEN: Hi. I'm Devin Gladden and
5 I'm a special advisor in OE's front office to Pat
6 Hoffman and Liz Dalton.

7 MR. BALL: Billy Ball, Chief
8 transmission officer at the Southern Company.

9 MR. SIOSHANSI: Ramteen Sioshansi at the
10 Ohio State University.

11 MS. SILBERSTEIN: Pam Silberstein,
12 NRECA. Welcome, everyone.

13 MR. THILLY: Roy Thilly, the tag says
14 "Independent." (Laughter)

15 MS. CARMODY: Paula Carmody, People's
16 Counsel for the Maryland Office of People's
17 Counsel.

18 MR. ROBERTI: Paul Roberti from the
19 Rhode Island Public Utilities Commission.

20 MR. CENTOLELLA: Paul Centolella with
21 Paul Centolella and Associates and also spend part
22 of my time as a senior consultant with Tabors

1 Caramanis and Rudkevich.

2 MR. VAN WELIE: Gordon Van Welie, ISO,
3 New England.

4 MR. BOSE: Anjan Bose from Washington
5 State University.

6 MS. BROWN: Marilyn Brown, a Brook Byers
7 professor of sustainable system and a member of
8 the Tennessee Valley Authority Board of Directors.

9 MS. SANDERS: Heather Sanders, Southern
10 California Edison.

11 MR. GELLINGS: Clark Gellings,
12 Independent.

13 (Laughter)

14 MS. CURRIE: Phyllis Currie, formerly
15 with Pasadena Water and Power, now a member of the
16 MISO Board.

17 MR. LAUBY: Mark Lauby, NERC.

18 MR. MORRIS: Jeff Morris, Washington
19 State House of Representatives.

20 MR. MOUNT: Tim Mount, emeritus
21 Professor at Cornell University, applied
22 economics.

1 But first of all, Pam, thank you and NRECA for
2 hosting the meeting. We always appreciate your
3 willingness to allow us to host the meetings here,
4 so I really sincerely appreciate that.

5 So a lot has been going on. I know that
6 everybody's probably followed the Secretary in his
7 daily running around, but he has been quite busy
8 and quite active. Thus OE also has been quite
9 busy and active. And so I thought I'd give you a
10 little bit of a sense of my priorities and some of
11 the things that OE is working on to give you food
12 for thought for the next upcoming meetings for the
13 EAC and things that you might want to contribute
14 or provide some additional thoughts to the
15 Department on.

16 So, first of all was mission innovation.
17 As part of the Paris COP21, the Secretary
18 announced mission innovation, which is basically a
19 doubling of the applied R&D -- well, actually the
20 near-applied, the higher risk applied R&D area to
21 the clean energy technologies and investing in
22 clean energy technologies. And so what the

1 Secretary did, the U.S., with 19 other countries,
2 is maintain and affirm the commitment to doubling
3 the R&D and really trying to get things to move
4 forward. And so part of OE's budget is allocated
5 to looking at how do we continue to support
6 innovative technologies and advancing technologies
7 in support of the clean energy mission.

8 And one of the things that was part of
9 that was really looking at how do we get to some
10 of this higher risk technology developments and
11 get them over the hump. You can take whether it
12 be energy storage or, you know, some other
13 advanced technologies and say we need to really
14 get this over the hump so it gets into the
15 marketplace. So, not fully on the applied side,
16 but on the higher risk environment, and so that is
17 one of the topics in the discussions and things
18 that we're thinking about in moving forward.

19 Now, parallel with that is what Bill
20 Gates announced as part of the breakthrough energy
21 coalition. And that side of it is really looking
22 at more of the traditional venture capitalists and

1 investing in the future. And so that's one of the
2 activities that we will continue to support as
3 we're looking at doubling the clean energy
4 technology R&D. It was part of that program.

5 I know that you will hear today about
6 the Quadrennial Energy Review, but we are fully
7 engaged in the second round of the QER. We call
8 it QER 1.2 and that is focusing, of course, on the
9 whole suite of electricity from generation to end
10 use. But there are significant efforts that are
11 part of that that we can discuss as part of the
12 presentation, but OE is quite actively engaged in
13 what some of the policies and the thought
14 processes and an analytical baseline should be
15 developed in support of recommendations that are
16 coming out in the future. So that is also
17 something that's pulling a lot on our radar and
18 our attention and our resources.

19 The third effort, of course, is our
20 whole activity across the Department, which is
21 grid modernization. We've spent the time and
22 really pulled together the Department of Energy to

1 have a consistent, cohesive grid modernization
2 strategy. Likewise, we challenged the national
3 laboratories to, as well, get value-added efforts
4 pulling together from the national laboratory
5 projects. You'll hear this, as well, in the
6 updates today, but that has been a strong effort
7 and really saying how do link these technologies
8 that can be seen as somewhat disparate from what's
9 being developed in EE or RB or OE, and really pull
10 them together for additional value.

11 Part of that is also looking at the
12 regional nature and the regional diversity and how
13 we can continue to build projects that can start
14 from where the regions are and continue to advance
15 them in moving forward.

16 The third area that the Department is
17 looking at that influences our work is
18 international partnerships. The Department has
19 been supporting a Clean Energy Ministerial. We
20 will continue to support the Clean Energy
21 Ministerial, which is a group of 23 major
22 economies in the EU. And we usually host these

1 meetings that really go after commitment to clean
2 energy. The next one is going to be in the U.S.
3 in September. Right?

4 MS. DALTON: June.

5 MS. HOFFMAN: June, thank you, and so
6 just to give everybody awareness that we'll be
7 leading that.

8 Part of that and part of the QER is
9 another activity that we'll be looking at as how
10 do we strengthen the relationship with Canada and
11 Mexico, but right now I'm going to probably focus
12 on Canada just because the President met with the
13 prime minister. And part of the Canadian
14 announcement or the White House announcement was a
15 joint strategy for securing the North American
16 grid, and so I'm going to have to double down and
17 think about how we can really cohesively take some
18 points of common interest between U.S. and Canada
19 in securing the grid and we'll, of course, work
20 with NERC and the ESCC, the Electric Sector
21 Coordinating Council, as part of the activities.
22 When that came out I gave Jerry a call and the

1 ESCC was called to say let's make sure we do this
2 collectively.

3 Some other things. So leading into the
4 next statement is we are going to have a strong
5 effort to really looking at our emergency response
6 capability and our resilience activities in the
7 Department and the projects we're working on. And
8 we can get into that in further conversations as
9 we move forward.

10 And the last topic is cybersecurity. I
11 don't think we need to say too much but except to
12 say this issue continues to grow. You know, you
13 have what was in the news with respect to Ukraine.
14 I think we need to concentrate our efforts and
15 double down on our efforts with respect to
16 cybersecurity and the efforts around that. I
17 would say from a prevention and a mitigation point
18 of view, but one of the things that I've been
19 focusing on a lot is how do we think about
20 recovery? And so that's something that we'll look
21 at.

22 So the next activity or the next thing

1 that I would like to talk to you about is probably
2 our budget and what's currently going on and just
3 things that I'd like you to keep on your radar and
4 think about from an EAC point of view.

5 One of the things that we are doing some
6 follow-up work on is Aliso Canyon. And I know
7 from the California folks the Aliso Canyon was, of
8 course, a big topic with respect to gas storage
9 and availability of gas, not only gas, but gas
10 generation, plus the impact of potential
11 reliability in the markets. I think this kind of
12 feeds back from earlier conversations that the EAC
13 has had writ large about the coordination of
14 gas-electric interdependencies. I think this will
15 continue to evolve, but just continue to be an
16 important topic, especially with some of the
17 dependence on the gas infrastructure.

18 So as we're moving forward, one of the
19 things that we're thinking about is do we need to
20 have a stronger dialogue around some of the
21 availability of storage, gas storage systems out
22 there, and the distribution and the correlation

1 with the electricity and electrical reliability.
2 So that's one thing that we're thinking about near
3 term or near-term type activity. And the
4 Department wouldn't mind the EAC's thoughts. And
5 if we want to do it, we could do a special panel
6 session on that or a review, but I'd leave that up
7 to the EAC, but it's a thought and a suggestion
8 moving forward.

9 So now what I'd like to do is just give
10 you a brief overview of our budget and where we're
11 at from that perspective. The 2017 budget is a
12 good moving forward for us. It's a \$262 million
13 budget request on the Hill. Our 2016
14 appropriations was very good, as well, that we for
15 the first time had broken over \$200 million in our
16 appropriations. It was \$206 million, so that's
17 great. It shows the commitment to the grid
18 modernization, commitment to investing in the
19 electric infrastructure, and the activities. So
20 we're going to continue to work really hard to do
21 a lot of good things with that.

22 So some of our priorities in the 2017

1 budget and what we're doing with the 2016 budget,
2 I want to give you a sense of what we're focusing
3 on with our budget dollars. And all of this falls
4 under the grid modernization strategy within the
5 Department.

6 So the first thing that I want to talk
7 about is energy storage. The 2017 budget has a
8 significant increase in investment in energy
9 storage. It's about \$44.5 million. And what we
10 really want to do is continue to focus on getting
11 the cost down of energy storage, looking at some
12 new energy storage materials and devices. But we
13 also want to look at how do we push the
14 institutional issues and the states issues so that
15 we can get energy storage into the marketplace?

16 There has been different incentive-type
17 programs that Washington State has done. There's
18 the mandate program that California has done. But
19 at the end of the day, I go back to the valuable
20 reports that DOE and EAC have written, are ready
21 on energy storage. And, of course, we're going to
22 look at the distributed energy storage one

1 tomorrow.

2 But one of the things that we've got to
3 think about is how are we going to capture those
4 value streams for energy storage? I think that's
5 still an Achilles' heel of getting energy storage
6 into the marketplace. But, needless to say, we're
7 going to try to continue to show I think the cost
8 and benefit analysis around energy storage through
9 the demonstration projects that we do through the
10 safety testing and degradation and life cycle
11 testing that we're going to do for energy storage.
12 So that's one thing that I wanted to put on your
13 radar.

14 The second thing that I'd like to --
15 from our budget point of view that we're trying to
16 stimulate and move forward is increasing our
17 partnership with the states. What we really would
18 like to do is focus in on two areas that will
19 support our partnership with the states. One is
20 in the emergency response area, where we want to
21 do regional exercises and really look at the
22 impact to not only electricity, but the energy

1 paradigm in emergency situations. And so the 2017
2 budget includes a request for doing regional
3 exercises and support of exercises with the
4 states.

5 The second area is there is a lot of
6 conversations that the states are having around
7 the distribution system and what is the
8 distribution system going to look like in the
9 future from a structural -- I won't say not as
10 much from a structural, but how that structure
11 interfaces with the markets which interfaces with
12 consumers which will allow the third party
13 entrance to the field. And so one of the things
14 that we would like to do is increase our technical
15 assistance to the states, but actually organize it
16 in a holistic fashion where we're supporting the
17 conversation from a systems point of view, not
18 just from a device or a generation point of view,
19 but what does the system require. What do we do
20 as we look at reliability at the distribution
21 level down to the customer side and customer
22 premise? What are some of the mechanisms where

1 cost recovery can be looked at?

2 And so that would be a partnership with
3 the states that are interested in having the
4 dialogue, where we could tap into the full suite
5 of tools across the department to have an
6 integrated approach of looking at the future. So
7 those two are both state efforts that we're
8 proposing in the 2017 budget that are significant
9 efforts.

10 And I do want to point out that Devin,
11 who is here, is going to be the point person for
12 coordinating all these state efforts, so we can
13 get everything organized and you can touch base
14 with Devin later.

15 The third area was a new area that we
16 were proposing in the 2017 budget, which is a grid
17 institute. I'm not sure this Committee is
18 familiar with it, but it's something maybe we can
19 talk about in the future. Under the Office of
20 Energy Efficiency and Renewable Energy there was a
21 push with the Department to say how do we get
22 manufacturing back in the United States? How can

1 we help build capabilities and jobs in the U.S.?

2 And so there was different -- even DOD
3 has manufacturing institutes around power
4 electronics. There's additive manufacturing that
5 was done in partnership with Oak Ridge National
6 Labs looking at new ways for 3D printing and
7 additive manufacturing.

8 So we had proposed one on the grid
9 institute. And one of the things that we were
10 thinking about was as we start thinking about
11 critical materials, critical devices, and domestic
12 manufacturing that's needed in the U.S., is there
13 an opportunity to develop an institute, develop a
14 capability that would be U.S.-based and try to
15 bring some of that manufacturing and some of that
16 capability back to the U.S.?

17 So those were the three things, the
18 couple things that I wanted to highlight as part
19 of the budget that are significant new efforts
20 that OE's trying to move forward, you know,
21 depending on Congress and where things go. But at
22 least it gets the message out of the importance of

1 the organization and the activities and the
2 continued importance of investing in the grid
3 space. So that's what I wanted to do.

4 Other than that, I guess the only other
5 thing that I'd like to just give you a highlight
6 on is I've been trying to do some roundtable
7 discussions in the regions. I've been trying to
8 do a couple CEO conversations really to take a
9 pulse of the industry and what some of the
10 challenges are and some of the current needs. And
11 I don't think there is anything that's
12 earth-shattering from those conversations, but it
13 does highlight the importance of the dialogue in
14 the industry, especially at looking at what are
15 the business models for the future for the
16 utilities, as well as what is the approach we
17 should be taking from a cybersecurity point of
18 view, as well as how do we look forward to
19 becoming a platform where more technologies and
20 more capabilities can be integrated on the system?

21 And so with that, I'm going to stop from
22 there and that pretty much gives you a highlight.

1 And then, of course, we always can talk as part of
2 the conversations of some of the other
3 presentations for the rest of the agenda. So
4 thank you.

5 CHAIRMAN COWART: Thanks, Pat. Are
6 there immediate questions or comments on that for
7 Pat? You don't need to be shy.

8 All right. We will get to it later.
9 Next we have an update on the QER. We ready for
10 that? Thank you. All right.

11 MS. BATTERSHELL: Good afternoon.
12 Thanks for having me. My name's Carol
13 Battershell. I work in DOE's Policy Team, so
14 we've been working closely with the Office of
15 Electricity on one of our recent projects and I
16 expect that's why they wanted a bit of an update
17 on this project. It's called the Quadrennial
18 Energy Review.

19 We're just having a bit of a buildup of
20 suspense while we try to find the slides. Anyway,
21 I'll get going. I'll assume that they'll catch up
22 with me.

1 So the Quadrennial Energy Review is a
2 project that was directed by the President. There
3 was a presidential memorandum saying you should
4 look at energy policy issues. And that was back
5 in, I think -- I can't remember the date of it,
6 but about two years ago, and it was requested that
7 we do a Quadrennial Energy Review. It sounds from
8 its name like that might mean that we were going
9 to do one every four years. Both the President
10 and our Secretary decided we should actually break
11 it up into more manageable pieces, so we've done
12 one piece of that already, which I'll talk about
13 briefly first, QER 1.1, and we're now working on a
14 second Quadrennial Energy Review, or at least 1.2,
15 which is primarily about electricity. The first
16 one did touch on electricity, so I'll speak about
17 that briefly and then I'll go into more detail on
18 the second of these large policy reports which is
19 predominantly about electricity.

20 Now, for those of you that might be
21 familiar with this quadrennial process, and for
22 those of you that aren't, it has often been in the

1 government a single agency issue, like they do a
2 quadrennial defense review. That's just about
3 DOD. One thing that's different about this policy
4 study that I think is important for you to be
5 aware of is this was directed to be a multiagency
6 study. So in the first version of the report that
7 we did there were 22 or so agencies involved. If
8 you look at energy, even though we've got energy
9 in our name, Department of Energy, certainly not
10 everything about energy is managed within the DOE.
11 So we had involvement from the EPA, from the
12 Department of Interior, State, a number of
13 different agencies. So that was the first one.

14 And the Department of Energy serves as
15 what we're calling the secretariat. So they kind
16 of do a lot of the coordinating and most of the
17 analysis, but then there's a lengthy multiagency
18 review process.

19 So the process in general, and this is a
20 function, I believe, largely of our Secretary, a
21 physicist and a strong believer in analysis, this
22 is an analysis-based, analysis-grounded policy

1 review. So we commissioned, I don't know, 50, 60
2 independent analysis streams to support the first
3 one and we also combed literature, looked at all
4 the other analyses that were going on, and built
5 those into the analysis, as well.

6 So that was there was a presidential
7 memorandum. It's multiagency. Moving on to that
8 it's analysis-grounded. So we have some documents
9 that we're calling baselines, kind of looking at
10 the state of play. It's largely a literature
11 review, what's happening already, what's already
12 known, what are the gaps. We do modeling and
13 scenarios. We'll look at disruptive events. And
14 it really is a lot of a synthesis of available
15 work, finding out what the gaps are, and then
16 moving forward.

17 We also have a big stakeholder
18 engagement process. This is one of those types of
19 engagements. We go out, we meet with a number of
20 different people. We also have some formal public
21 meetings. We've had one of those already in D.C.
22 We had 14 various stakeholder meetings around the

1 country for the first QER.

2 So we have another process, which is
3 about stakeholder engagement. And I mentioned
4 before that it's a multiagency process, so we have
5 a lot of collaboration with the other agencies.
6 So those are kind of the three parts of the
7 process overall.

8 Now, I mentioned for the first QER it
9 has relevance on electricity, but it wasn't all
10 about electricity. So the first one was on
11 transmission, storage, and distribution
12 infrastructure. Why did we do that first? It's
13 because, you know, this is not going to be news to
14 you, it's highly capital-intensive, it's very
15 long-lived, it's kind of what connects all of the
16 energy systems. And so decisions that are made
17 now have long-lived impacts, so we thought that
18 that was the right target to get on going on in
19 the first QER.

20 We had multiple chapters in that QER.
21 All of this is online. All you have to do is
22 really search by QER and DOE. It's the first link

1 that will come up, but we had chapters on the
2 resilience, reliability, safety, asset security,
3 things about modernizing the electric grids, even
4 the electric grid that was in the first one, as
5 well, overall energy security infrastructure,
6 things about how we integrate with North America,
7 what are the impacts on the workforce or what are
8 issues about the workforce that we should
9 consider.

10 And then an area that I mentioned before
11 this was heavily analysis-based. We came up with
12 a couple issues that we weren't expecting at the
13 beginning. So it really was not a what are our
14 big policy ideas and then how do we have analysis
15 that makes sure we get those in? It really was
16 ground up analysis. And when we looked at all
17 types of energy and how all of them move, we found
18 some things about railroads and inland waterways
19 and shipping oil and coal that we weren't
20 expecting. Those are largely government managed
21 and the maintenance is funded by the government,
22 and so we had a separate chapter on what are the

1 issues related with shared transport? So that was
2 the first QER.

3 And within that QER, and that's what the
4 cover of it looks like, we had 63 different
5 recommendations. And so right now we're busy both
6 on the next QER, as well as implementing these
7 recommendations. Not all of them related to
8 electricity, so I'll move pretty quickly through
9 this, but the recommendations -- this is important
10 as context for the next QER -- is they are a wide
11 range of recommendations. So some of them are
12 executive actions, things that the DOE could do or
13 that different agencies could do. Some of them
14 are larger and harder to implement, like they
15 would need additional legislation or they would
16 need additional appropriations. And so as you
17 know from how Washington works, those are a little
18 trickier to implement, but they are on the list,
19 as well. So we made a wide range of
20 recommendations, some being additional studies
21 that were needed, some were additional legislation
22 that was needed.

1 The good news on the recommendations --

2 MS. HOFFMAN: We did have a presentation
3 on kind of QER 1.1 and the recommendations.

4 MS. BATTERSHELL: Okay.

5 MS. HOFFMAN: And so I think the
6 Committee's pretty familiar with that. Thank you.

7 MS. BATTERSHELL: Okay. So we're doing
8 both the recommendations now, but working on the
9 next one for scoping. So in QER 1.1 the things
10 about electricity were changes in the generation
11 mix, low, low growth, a number of vulnerability
12 issues -- enough things about electricity that we
13 felt the next QER should be on electricity
14 overall. And the difference in the scope, if you
15 look at the first QER, it was oil, gas, coal,
16 electricity, but only the transmission, storage,
17 and distribution, or if it's oil transportation,
18 storage, and distribution. This QER for 1.2 is
19 the full end-to-end, so we're both looking back
20 again at transmission and distribution in the
21 context of the full scale, but we're also adding
22 in additional analysis on generation, as well as

1 end use.

2 And like I mentioned, we've got a lot of
3 involvement from the Office of Electricity in that
4 study. We're beginning to look through some of
5 those analysis reports now that we've already
6 started on. We had David Meyer in one of the
7 groups. We were talking about our studies on
8 valuation this morning. Liz Dalton was in one of
9 the sessions where we were talking about how the
10 studies were going on North American integration.
11 So we're making some progress already.

12 So the QER 1.2 will analyze overall how
13 the system is evolving. We're looking at how to
14 integrate new technologies, the grid operations,
15 changes in market conditions, financing, and how
16 the consumer's role is changing. We're looking at
17 the physical structures, as well as institutions.
18 We're looking at issues like maintaining
19 reliability, maintaining affordability, and also
20 just the adaptation to the technologies and
21 services.

22 And as I mentioned, we already have some

1 analyses with interim results. We're starting to
2 look at those, but these analyses looks at things
3 about the fuel choice, about centralized and
4 decentralized. One of the studies that I've been
5 working on is how is distributed energy generation
6 impacting the distribution systems, so we're
7 looking at issues like that, as well as things
8 that you might expect, like physical and cyber
9 vulnerabilities, federal, state, and those
10 jurisdictional issues.

11 Again, this is a policy study, so while
12 you hear typically from the Office of Electricity
13 about technology issues that are going on and some
14 policy, this one is predominantly a policy issue.
15 And we're looking at business models, as well as
16 the expectations of the consumers.

17 This is a little bit busy, but some of
18 the main themes that you should be aware of and
19 the timescale is that we worked already on
20 scoping. That phase is completed. We're now in
21 the analysis and moving into policy implications
22 phase. I mentioned there are a number of these

1 baseline documents where we're trying to get the
2 current state of play and some foundational
3 analysis. We have one on generation, one on
4 distribution, one on the markets and use; the
5 environment, which has got components parts, some
6 about greenhouse gases, but also ranging to issues
7 like nuclear waste. And we have jurisdiction
8 issues that we're just kicking that one off. So
9 those are in multiple stages of completion. I've
10 seen a couple drafts already of the distribution
11 baseline; jurisdiction baseline just getting
12 going.

13 So we will have that foundational
14 analysis that will help inform us of what some of
15 the analysis gaps are because these are largely
16 literature reviews. We'll have a chance to kick
17 off subsequent analysis to deal with that. And
18 then we move into the phase where, grounded by
19 that analysis, we look at what are the policy
20 implications. What's going well, doesn't really
21 need any federal intervention? Where are there
22 issues that would benefit from policy? And then

1 we'd be, again, looking at what are the options
2 that could deal with that and then what are some
3 of the recommendations?

4 And that phase should be largely going
5 on during the summer. And then, as I mentioned,
6 it's a multiagency process, so there are at least
7 a couple months dedicated in the schedule for
8 getting all those different agencies to review the
9 documents and get agreement.

10 And the red box at the bottom, that's
11 probably the most important note on the screen, is
12 the final report will be issued sometime between
13 late November, early January. We're
14 optimistically hoping for before the Christmas
15 holidays, but that's the schedule that we're on
16 and we will get this second volume of the
17 Quadrennial Energy Report issued about by the end
18 of the year.

19 Now, this is kind of the meat of it.
20 These are somewhat busy slides, but I have made
21 the slides available. And this is what I would
22 encourage folks to take a look at when you get

1 time after the session. And if you'd like to
2 submit comments, we have a place on the QER
3 website where we take public input.

4 But one of the other grounding
5 principles in how we do the analysis, we first
6 start with foundational analysis. What's the
7 state of play? But we also think about what
8 policy questions are we actually trying to answer?
9 What do we think some of the issues are?

10 And so what I have here is broken into
11 -- it's 10 or 12 pieces with kind of a topic
12 heading and then what are a subset. These aren't
13 all the policy questions, but there are some
14 examples for you, what kind of questions are we
15 looking at in each of those. And I will just go
16 through some of the example questions and then
17 show you what the rest of the headings are and
18 kind of leave you there with those are the issues
19 that we're trying to tackle and this would, at
20 this point, be a good place for people to input if
21 they had comments. And, again, we've got a formal
22 mechanism for that.

1 So one of the issues is about
2 consumption and energy efficiency. This is the
3 end use side of it. We're looking at a number of
4 questions about what are the levels and patterns
5 associated with not just electricity consumption
6 now, but forecasted going forward by different
7 sectors. And then that gives you an idea of what
8 policy might be needed to deal with that.

9 We have a section on distributed energy
10 resources, looking at demand response, distributed
11 generation. We've got questions within that
12 section about how should DER be valued? What are
13 the valuation processes?

14 And we have a section of work on grid
15 operations and planning. And the policy issues
16 and questions that we're looking at in there
17 include things like how do the different system
18 architectures help or hurt putting in -- having
19 efficient grid operations and introducing new
20 technologies?

21 And then I'll just go through the other
22 high-level titles so that you know the types of

1 areas that we're looking at. And, again, the
2 slides are available, so you can look in more
3 detail at the rest of the policy questions.

4 We're also looking at the generation
5 portfolio, reliability issues, supply chain
6 issues, the markets in which we sell electricity,
7 the finance mechanisms, a detailed section on
8 valuation. We're looking at innovation in
9 technology, jurisdictions and regulations, as well
10 as the environment. We return to the topic that
11 we touched on in QER 1.1 about resilience. We're
12 also looking at physical and cybersecurity. Once
13 again, we're looking at integration along our
14 borders with both Canada and Mexico, and we're
15 looking again at workforce issues.

16 So we've got policy issues within each
17 of those categories and that's what we're focusing
18 the range of analysis on and that's what we're
19 likely to have policy recommendations on. Again,
20 by the end of the calendar year we'll have a
21 public report. And we've got a series of meetings
22 where we have Federal Register notices about when

1 those are coming out, and would encourage people
2 in the regions to contribute to those, as well.

3 CHAIRMAN COWART: Thank you very much.
4 Are there questions or comments from Committee
5 members? Merwin?

6 MR. BROWN: Merwin Brown, CIEE. To me,
7 there are at least two factors that have quite a
8 bit of ambiguity in looking at the future and I
9 was going to ask if you see this the same way and
10 whether or not you've made decisions on this. One
11 of them has to do with distributed generation.
12 When you're looking at the generation focus as one
13 of your bullets up there, you could include
14 distributed generation along with central
15 generation and look at it as a sum total of
16 providing electric supply. Or the other way to
17 look at distributed generation as a negative load,
18 which means how does that influence load modeling?
19 The former one would be generation modeling. So
20 there you've got an ambiguity of how to treat
21 those two and so that's one question I pose.

22 And then the similar question in some

1 ways has to do with energy storage, although it's
2 a little more difficult to look at this. Energy
3 storage on one hand could be looked at as just a
4 substitute for other kinds of grid elements that
5 are out there, such as generation or various grid
6 control systems, power quality systems, et cetera.
7 Or it could be looked at as a paradigm-changing
8 technology if you look at it in the context that
9 for the first time the delivery system will have
10 the potential ability for warehousing the product,
11 which up till now has not been a substantial part
12 of how you would treat that technology.

13 So those are two items that would, to
14 me, pose a sticky issue of how to treat them going
15 forward or how you treat them both ways, which
16 makes your work harder.

17 MS. BATTERSHELL: So we think that we've
18 got a number of challenging issues. You do a good
19 job of explaining a couple of those.

20 On the generation one, and I guess it
21 doesn't come out as much as I hoped it would in
22 the presentation, but one of the things that we

1 try to do is look at things from multiple
2 perspectives. So we have a generation group and
3 they are looking at distributed generation as a
4 generation technology, so we're looking at it from
5 that perspective. We also have an end use group
6 and they did a baseline study, and they included
7 distributed generation as exactly you identified
8 as a way to also explain how demand is changing.

9 So we're looking at it from both
10 perspectives. And we have these groups that are
11 set up and what we find is everything is
12 intersecting. It's hard to have any of these
13 issues which are completely isolated, which is why
14 we set up cross-cutting groups and which is why we
15 bring as many perspectives into it as possible,
16 both analysts from the policy team, analysts from
17 the technology teams, like the Office of
18 Electricity. We also have the Energy Efficiency
19 Renewable Energy Office contributing. Where we
20 have issues about generation that are related to
21 nuclear fossil, we have the fossil and the nuclear
22 offices involved. And we look at all the

1 different departments, as well. So we're trying
2 to look at it from as many perspectives as
3 possible.

4 And on your storage question, that one
5 sits mainly within our grid operations and
6 planning team that are looking at that, so we are
7 considering storage as an issue that has
8 relationships and impacts on how you operate the
9 grid.

10 MR. ZICHELLA: Hi.

11 CHAIRMAN COWART: Clark and then Carl.

12 MR. ZICHELLA: Oh, I'm sorry. Go ahead,
13 Clark.

14 MR. GELLINGS: My apologies, Carl. I
15 think you're getting to this, but I wonder, you
16 know, forever our view -- that is "our view" being
17 the view of our system engineers -- has been,
18 well, we generate and then we find a way to get it
19 to customers and they consume it. But, you know,
20 I think we are getting to the point where we might
21 begin to consider turning that completely around
22 and when we have discussions about the technology

1 issues surrounding electricity we start with the
2 consumers and we start with the idea that they
3 need energy and that energy can be supplied in a
4 number of ways by a number of systems, among those
5 happen to be what now is the most dominant system.
6 But as we look towards the future, some years out,
7 that may no longer be the case. Just a thought.

8 MS. BATTERSHELL: It's a good thought.
9 One of the things that sticks with me on that
10 topic, and, again, we look at a lot of literature,
11 is EPRI had -- I think it was EPRI had a good
12 chart on the grid as it used to be with, you know,
13 a single line of power moving through the system
14 with a pretty straightforward system. And their
15 new one is a ring with lots of arrows going
16 multi-directions for everything. And that, I
17 think, kind of --

18 MS. HOFFMAN: I paid her to say that.

19 (Laughter)

20 MR. GELLINGS: I think I sketched it. I
21 didn't draw it. We have an artist to draw it.

22 (Laughter)

1 MS. BATTERSHELL: Okay, well.

2 MR. ZICHELLA: Carl Zichella with NRDC.
3 This is an easier one, I think. Just thinking
4 about the mechanics of how you're going to do the
5 stakeholder work, first of all, I thought the
6 Department did a really good job in 1.1 and the
7 stakeholder workshops. And they broke out a
8 number of different topics for different
9 locations. I presume that'll be the same method.
10 And have you thought about sort of how you're
11 going to break out this list of topics that you've
12 just described for us for the stakeholder
13 workshops?

14 MS. BATTERSHELL: So some relationship
15 to how it was done in the last one, but a slight
16 nuance and not positive I'm going to get this all
17 right, but it's something like this. There's
18 going to be, I think, three panels in all of the
19 sessions. And because there's a huge regional
20 variation, which you guys know better than I do,
21 we are having I think it's a generation and
22 transmission, distribution and end use -- those

1 are two -- panels at each and every one of the
2 regional meetings, plus a third one which is a
3 special topic that has to do with that regional.
4 But we think the regional issues are big enough
5 that we will want to talk about generation and
6 transmission, and distribution and end use in each
7 and every region that we visit. But we also think
8 these topics are important and so we're trying to
9 meld those two together.

10 CHAIRMAN COWART: Any other questions,
11 comments? Yes, Billy.

12 MR. BALL: This is actually, I guess, a
13 follow-up to Carl's question and to your answer.
14 On the third panel, in each of the regions is
15 there process for determining what those special
16 topics might be?

17 MS. BATTERSHELL: There probably is --

18 MR. BALL: Okay.

19 MS. BATTERSHELL: -- but I don't know
20 what it is. Sorry.

21 MS. HOFFMAN: Do you have a specific
22 interest?

1 MR. BALL: No, I was just curious.

2 CHAIRMAN COWART: If we can't answer
3 that question in this meeting, in other words,
4 find out who's organizing and deciding, that would
5 surprise me.

6 MS. BATTERSHELL: So there is a process.
7 I don't know what it is and it's not my process.
8 What I do know is that they will be announcing all
9 of those meetings, the dates, the locations, and
10 the topics for panels in the Federal Register very
11 soon.

12 MS. BROWN: Marilyn Brown, Georgia Tech.
13 In response to the last item on the list, do you
14 think that you might take a plunge into the
15 dialogue over whether there is greater or less
16 workforce requirement employment impacts of
17 different types of technology evolutions? I see
18 you focused on mostly the workforce skills and
19 requirements, but do you think that there'll
20 actually be some sort of sophisticated systems
21 analytic approach to input-output and where are
22 the jobs going to come from and how many jobs

1 might they be and how might that total change in
2 the evolutionary process?

3 MS. BATTERSHELL: I'm not sure how much
4 modeling of the input and output part there will
5 be, but I know that one of the topics that they're
6 trying to come to grips with, and we tried for the
7 last QER, but didn't have enough time to get
8 there, is just trying to capture what the actual
9 workforce is. We would look at things like rail,
10 energy workers in rail. It was like, you know,
11 50. And I'm like I'm pretty sure that's not it if
12 you look just proportional how much energy is
13 transmitted by rail.

14 But one of the things that we learned so
15 far is the data of energy workers is not great and
16 we are trying to make some inroads into just
17 getting a better idea on the data.

18 MS. BROWN: One of the hypotheses might
19 be that as we transition from a grid that's
20 heavily dependent upon natural resources to one
21 that has less energy consuming, that one might
22 expect you'd be replacing some of the prior

1 expenditures on resources into expenditures on
2 employment.

3 MS. BATTERSHELL: There's certainly --

4 MS. BROWN: But that's a very radical
5 and contentious proposition.

6 MS. BATTERSHELL: There's certainly a
7 huge shift in where they are in different
8 industries, but we've got some quantification
9 issues, as well.

10 Okay, sorry. I went overtime a bit, but
11 I don't think a lot more than I started late.

12 MR. MORRIS: My question's about the
13 North American integration part and the dynamics
14 between the Northeast and the Northwest on the
15 49th parallel. They're probably the most
16 interconnected with the Northwest being highly
17 interconnected. And maybe Eastern Canada wanted
18 to be more interconnected with the Northeast part
19 of the United States and then in between.

20 I guess my question goes into the real
21 constraint, you know, there's a natural arbitrage
22 market on the West Coast down to California,

1 because that's where the constraint is, is from
2 the Northwest power pool down into the California
3 ISO. And I guess part of the question is, do you
4 think you're going to be approaching that
5 regionally or kind of holistically across the
6 border?

7 And then it's almost impossible to
8 separate out the natural gas question because, you
9 know, MTB used to back up renewables in the U.S.
10 is kind of part and parcel of that entire
11 discussion. So I think that's my question.

12 MS. BATTERSHELL: It is impossible to
13 separate out the gas questions, so we are looking
14 at, for the North American integration issue, both
15 the physical electricity system and the physical
16 gas system. But we're also looking beyond just
17 the physical and we're looking at is there some
18 regulatory harmonization? Maybe not the
19 regulations themselves, but at least their guiding
20 principles.

21 We've had a couple workshops on the
22 border issues, one with Canada already and one

1 with Mexico already, and looking at the
2 differences of how integrated Canada and the U.S.
3 are, but not hardly at all on the Southern border.
4 And so we're looking at a range of issues like
5 that. But we do recognize that it's hard to
6 separate out the gas issues.

7 CHAIRMAN COWART: Anything further? All
8 right, thank you very much.

9 Next, I think, Bill, you're up.

10 MR. PARKS: Good afternoon. Great to be
11 here again. We're faced with we have some new
12 members and we also have some older members, so I
13 apologize to the older ones that have seen all
14 this or at least the majority of this. But I
15 really felt it was important to kind of frame
16 everything so that we had a common understanding
17 of kind of where we're going and all, so please
18 bear with me.

19 I'm Bill Parks. I work for Pat, but I
20 also chair the great consortium that you're going
21 to hear about in a minute. Kevin Lynn is my
22 co-chair. He's out sick today, so he apologizes

1 for not being here.

2 We do have a laboratory consortium. The
3 lab leads are Carl Imhoff from PNNL and Bryan
4 Hannegan from NREL. Bryan's not here today, but
5 Carl is here for me. And please direct questions
6 to him, as well, in fact, especially the hard
7 ones.

8 So I want to walk through quickly what
9 is the grid modernization initiative overall. And
10 then we really had some action that made some
11 awards through the labs that we want to just frame
12 for you so you have an idea of what they are. I'm
13 trying to give you a snapshot of things. We'll
14 leave the presentation. Obviously you have and we
15 can have a follow-up conversation.

16 So why grid modernization? I don't
17 think very many people in this room need an
18 explanation of this, but we are seeing changes and
19 those changes are happening at a much faster rate
20 than they've happened in previous past decades, or
21 at least three or four that I've been involved in
22 this field. And they're complex changes that are

1 a critical platform for prosperity. We see that
2 as the next century unwinds and so we think, and I
3 think a lot of you would agree, that it's a
4 critically important piece of the United States'
5 infrastructure.

6 And if you look on the right-hand side
7 we've been concentrating on six attributes, and
8 I'm going to come back to this a couple times,
9 because we really want to try to, as hard as it
10 is, take a shot at what are the future metrics
11 that we need to classify where we're going. And
12 of the 42 or so reliability metrics today, which
13 of those really apply to a grid 20 years
14 downstream that looks a whole lot different than
15 the grid today? And the same for security,
16 affordability, flexibility, sustainability, and
17 resilience. Yes?

18 MS. SANDERS: Sorry to interrupt, but
19 I'm wondering where safety is in this?

20 MR. PARKS: So, right, thank you for
21 that. Safety, we have captured in our words in
22 the write-ups, it's hard to put everything in, but

1 safety is a consideration. It's been
2 traditionally treated somewhat like reliability in
3 that it is something we do, but we didn't tout it
4 in trying not to have too many at a time. But
5 safety continues to be an important thing.

6 And I think the way we would say that is
7 affordability, safety, and reliability were
8 crucial to the industry as it formed up. Those
9 don't drop away. We also are adding these new
10 features that we want, like the security,
11 different kinds of security features on top of
12 things, but we cannot ignore the old ones in
13 addition. So that's how we would say that. We'll
14 come back to it in a little bit.

15 So you heard a little bit about the
16 drivers of change, the Quadrennial Technology
17 Review was the second on that was done this year.
18 QER 1.0 finished last year. These are the
19 drivers, I think. Again, we have more explanation
20 in our multiyear program plan that is out and up
21 on the website. But as you look at these, they
22 generally fit in the direction that QTR, our

1 activities, and QER are all kind of moving in the
2 same thing.

3 The multiyear program plan that we
4 produced is a major deliverable of QER 1.0. So if
5 you look at the electricity section, the first
6 recommendation is to define a plan for doing
7 research in the areas that we're going to talk
8 about, these six areas that we've combined. And
9 I'll go a little bit more into this.

10 What we're saying is if you look at the
11 drivers of change to that and what we've defined
12 as really the goals for the next three or five
13 years coming out of the Secretary's definition of
14 what he's presented, looking at QER and looking at
15 all the plans out of Pat's office, out of the EERE
16 and APRA-e and others, the multiyear plan tries to
17 capture where's the Department going in these six
18 areas, and then making sure that those combine.
19 And the way we talk about combining them is really
20 start as early as late FY '17 regional
21 demonstrations. And I'll talk a little bit about
22 what these are, the idea that this will help

1 characterize and drive us toward a modern grid.
2 We're not going to have a single modern grid in
3 the example. The idea is to do a set of
4 demonstrations regionally that tell us this is
5 what the region needs, this is what we want to try
6 to understand, that relate back to these topics,
7 to relate back to those drivers, and the
8 attributes at the end of day that we really want
9 to accomplish with this system.

10 (inaudible) of the Grid
11 Modernization Initiative, we formed
12 this lab consortium. We have 14 of
13 our national labs working in the
14 grid space in one or more of those
15 six categories that were up there.
16 We made a lab call last year. We
17 awarded those, the Secretary
18 announced those in January. We
19 have 88 projects that have been
20 awarded.

21 I'm going to talk a little bit about
22 what the projects look like and give a couple of

1 examples, just to give you a flavor for the
2 things. All of these are up on the website. You
3 can look at each one, but we just wanted to
4 capture this.

5 But the two parts to this were we
6 actually, in these 29 first ones, we've really
7 reached across and asked the labs to work
8 together. Many of those have four, five, six labs
9 working on a topic together. And we've asked the
10 programs within DOE, especially across EE and OE, to
11 work together on funding these activities. So
12 these are co-funded from the DOE side programs
13 and their co-executed, or multiple lab executed,
14 at the same time.

15 In addition, under that lab call, we put
16 the grid related calls by the offices, the
17 different programs. So if you look at solar or
18 buildings or smart grid or storage, they were
19 embedded in this for the lab work. And these are
20 up to one-, two-, or three-year awards, depending
21 on it. There was about \$220 million.

22 A really important point is, although

1 this was a lab call, there was tremendous
2 partnership involved in this. And if we look at
3 this: 24 utilities, power providers, 10 RTO STOs,
4 15 universities, 6 state agencies, 5 regulatory
5 and policy associations, standards, and industry
6 players, so we have a really, really nice snapshot
7 of the players.

8 EPRI's a player. NRECA's a player and
9 (inaudible) is a player. CALICE is a player. The
10 state of New York -- NYSERDA is a player. One
11 really interesting one -- I've been in this game a
12 long time -- is that -- we have a California one I
13 want to talk about in a second -- NYSERDA was one
14 of the members of the California project, a little
15 unprecedented. So people in states are working
16 together in ways in this space and looking for
17 solutions in this space, beyond what is normal and
18 has been. And so we see it as a really exciting
19 piece to build on.

20 And in addition to the lab call, we'll
21 continue to go out with the university and
22 industry calls throughout the bigger grid

1 modernization umbrella, but we are concentrating
2 on getting our act together on our programs and
3 trying to get as much leverage as possible,
4 internally and with our partners.

5 Core activities. So I mentioned that
6 there's six projects here that we're really
7 concentrating on for a couple of years. Metrics
8 and baseline. Trying to establish -- okay, if I
9 have a world that I want those attributes, what
10 are those? And the idea is that we can define
11 these the best we can and, as discussed here last
12 time, this is a nontrivial exercise. This is
13 maybe the hardest project of all of the other
14 things that we're to do.

15 Can we establish a baseline that we
16 measure our demonstrations against in the future?
17 And, again, for future metrics that we're really
18 interested in. And then we also have concerted
19 efforts on grid architecture, interoperability,
20 device characterization, evaluation, and sensing
21 and measurement strategy, and that kind of thing.

22 What do we really need as we think about

1 a distribution system to give us the visibility
2 into that system that we need without all of the
3 excess data, or anything else that it could be.
4 And how can we do that in a cost effective way and
5 looking at what are the solution sets that might
6 be found there?

7 As part of this, we also made 11 awards
8 to the labs to work with states -- and this is a
9 collection that you can't read very well -- as
10 well as showing how the labs are regionally placed
11 and we put leadership into those labs that were
12 close to the projects. So I'll just give a couple
13 of examples. There's a Southeast project that is
14 Savannah River and Oak Ridge are looking at. A
15 combination of things in the Carolinas, Georgia,
16 and the Southern territory, and in Tennessee
17 looking at how to think about DER in the future
18 and the distribution circuits might happen in that
19 arena.

20 We are consolidating and reinforcing
21 some of our New York REV work that we're doing.
22 Brookhaven is taking the lead. Brookhaven's in

1 New York on Long Island, as an example, so to
2 coordinate that effort and response to the New
3 York requests we're getting. We have a Midwest
4 SEEMS project that covers really looking at the
5 Eastern and Western interconnection with MISO and
6 SPP about how do we think about moving bulk power
7 around? How does that affect bulk renewable
8 power? And there's a corollary project in the
9 wind side, looking at the Canada-U.S. inter-ties.
10 And so together we're linking a lot of projects
11 that we haven't before.

12 Even though you've seen wind do that
13 kind of work before, you've seen us on the OE side
14 do that kind of work, and other projects. We're
15 trying to coordinate all of these in a way that we
16 haven't, so we're leveraging ourselves better than
17 we have in the past, as well. That's a very
18 significant point, instead of spending a million
19 dollars on something, maybe we're spending 6- or
20 \$7 million on a topic and increasing our impact on
21 that, as well leveraging our partners better.
22 And, of course, getting the buy-in of the partners

1 and the ownership because ultimately, again, we as
2 DOE do not implement this at the end of the day.
3 It's implemented at the state or the utility
4 level.

5 In Alaska, there are a couple of themes
6 that show up. Microgrids show up, resiliency
7 shows up, high penetration renewables show up.
8 So coordinate those projects and those activities,
9 and back to the other foundational projects that
10 we're working on.

11 This is an eye chart. I'm sorry, but I
12 just wanted to give this snapshot, that these are
13 the projects under the six areas that are
14 co-funded across the offices and the programs.
15 And they range -- we wanted to make sure we had
16 activities in each of those six buckets. And,
17 again, there's some connections across, as well,
18 but this was our starting point, in addition to
19 the first two things I started about.

20 And I'll just read a couple of topics
21 just to give an idea. We're looking at how you
22 tie BMS, DMS -- Building Management Systems,

1 Distribution Management Systems -- and overall
2 management systems together today, but we're also
3 talking about what's the advanced control theory
4 that you need for the next generation?

5 So how can we help some things in the
6 shorter term, as well as what do we think
7 fundamentally could change about controls, as we
8 think about all these operating together at the
9 same time? So it's a package that we're looking
10 at.

11 We're looking at ways to tie
12 cybersecurity into everything else that's going on
13 and to build it in inherently from the ground up
14 and not just be an overlay. As we look at things,
15 we're looking at how do we take distribution and
16 planning tools and tie them to operation and
17 decision-making at the same time, so that we end
18 up with a coordinated suite of tools and models
19 that we can use to inform different people in
20 different fidelity levels and yet have its basis
21 in reality? So those are the kinds of things that
22 we're trying to accomplish.

1 Again, I'll just drive on one for a
2 moment. On design and planning tools, one of our
3 six areas, how do we get open software platforms,
4 50X speed-up for advanced computation? We've
5 already seen some applications of this at the ISO
6 level and in some of the modeling work that we've
7 been doing on the OE side for a couple of years
8 and building on advanced computational techniques
9 and parallel processing, all taking problems that
10 sometimes took 30 days to 3-hour solution sets,
11 those kinds of things, so that people can act in
12 more real time about what they're doing.

13 How do we add capacity to model
14 uncertainty? How do we get more understanding of
15 the variability of what we're doing? And some of
16 the key projects in this one, DER Sighting, an
17 optimization tool developed for California with
18 the idea of how does everybody use it. A North
19 American renewable integration study, Alaskan
20 microgrid partnerships, multiscale production cost
21 models development. How do we tie those all in?
22 Computational science for grid management and

1 extreme event modeling, all those things we're
2 tying together under this package and saying, as
3 we execute, think about how all those things come
4 together. And we've done that for each of the six
5 areas.

6 An example of the California one is, we
7 think about the drivers of change, we think about
8 the specific challenge that we're trying to do,
9 and the specific partners that we have, and the
10 areas of the multiyear program plan on the ranking
11 side that we're touching in order to do this. So
12 we're getting our own cross-fertilization and
13 keeping an eye on the drivers of change and the
14 attributes that fundamentally want while helping
15 people solve a problem that they're tackling.

16 This is a different one for New Orleans,
17 looking at the resiliency issue that we have.
18 It's really interesting -- I don't know if people
19 have seen it -- but since we awarded this,
20 Rockefeller's stepped up and put even more money
21 into this. So we're working with a suite of
22 partners and New Orleans is looking at the

1 anniversaries of hurricanes, anniversaries of the
2 city, and they're really trying to step back and
3 take a very serious look at what they really want
4 from their total energy picture and how does
5 electricity play in this. How do microgrids play?
6 How does resiliency play? And that kind of thing.
7 And so we're helping them with that, as well.

8 And then, again, back to the longer term
9 research development, we have a suite of these
10 things. In this case, the multi-scale integration
11 of control systems. You can see Argonne,
12 Brookhaven, Los Alamos, Lawrence Livermore, NREL,
13 PNNL, and Sandia are all working together on this
14 project, the idea of an integrated grid management
15 framework that's similar to an autopilot system
16 for greater interconnection activities.

17 So, can we create an open system?
18 Partners are PGM Duke, PG&E, Alstrom, and EPRI.
19 And you can see how this goes, so about a \$4.5
20 million equity over 3 years. It's just an idea of
21 the kinds of things that we're trying to do. And,
22 again, we have 88 projects that were awarded.

1 I talked about the three demonstrations.
2 Real quickly, this is how we're trying to pull it
3 together at the end and we'll continue to talk
4 about are these the right ones? We talked about
5 this a little bit last time. The idea is can you
6 reduce reserve margins and hold a system reliable
7 at the same time by utilizing DER, Demand
8 Response, or all the other new things that are
9 emerging, storage at the same time, and not put
10 the system at more risk while you do that? Is
11 that an achievable thing or not, to get a savings
12 as things shift?

13 A new capacity for grid operators to
14 leverage and manage the distribution resources,
15 and how do we get data- driven tools into the
16 thing? Target partners will be transmission
17 utilities and system operators. We see these set
18 of demos as we would go out with FOWAs that would
19 be regionally focused? And can we put the right
20 kind of partners together, part combinations of
21 utilities and co-ops and states and universities?
22 Because it's going to take a complex set of

1 partners to address these complex set of issues
2 for how we're looking at this.

3 The second set of them that we've seen
4 are, okay, our investments were significant, but
5 from a technology standpoint they ended in 2012.
6 So as we move along, as we take advantage of the
7 work that we've done and the private sector's
8 done, that RBE's done, that others have done,
9 EPRI's done, can we bring all that in and say,
10 okay, let's start talking about showing advanced
11 systems, what they can do in a way to go beyond
12 the AMI deployment, to go beyond and take
13 advantage of what other tools we need to get to
14 the sensing and the measurement and the control
15 that we might have?

16 How do we think about coordinated
17 microgrids? Less outages, few times -- again,
18 multiple attributes at the same time and targeted
19 at distribution utilities and cities and MUNIs.

20 And lastly, can we use these coupled
21 planning models that are much faster, that are
22 really focused specifically at the problem of how

1 to control electricity better, and work with them
2 to make sure that that gets to decision makers or
3 the results of that get given to decision makers,
4 so they really have an idea of how to evaluate
5 things like new business models and impacts on
6 policy decisions? And our targets for those are
7 states and local regulators, utilities, and market
8 participants.

9 So, as we look, we made the awards.
10 This week we've actually finalized the statement
11 of work for 24 of the 29 foundational projects.
12 The other ones are also moving forward, so people
13 have actually started to work on the lab projects
14 as of Monday. We are continuing to finalize all
15 that.

16 We are also doing regional workshops.
17 We're doing them in coordination with the QER 1.2.
18 We're actually going to co-locate them in Boston
19 in April, the two meetings. We're hitting some of
20 the same places, we're overlapping on themes,
21 trying to support each other as we go out. But
22 we're doing a slight different focus on this and

1 our focus is we want to talk about is our
2 multiyear program plan on target? Is it going to
3 help that technology policy regulatory interface
4 as we move forward? And what things do we think
5 are gaps in what we're doing? And as we think at
6 the end of this, we'll probably go out with the
7 next version of the multiyear plan, getting much
8 more detailed cooperation from stakeholders, and
9 the whole thing. And, again, regionally based.

10 So we held our first one in Austin two
11 weeks ago. John was there. We spent a day and a
12 half talking about different issues and how they
13 all come together, and then how that will affect
14 our projects as we go forward.

15 And at some point this year -- we've
16 shown it as June -- we'll have a D.C. summit where
17 we really talk about how this is the snapshot of
18 where things are in conjunction with the whole
19 effort that's going forward.

20 So, again, really what we want to do is
21 ultimately have national impact by doing it
22 through the process that we've laid out and doing

1 where the economy is almost completely run on
2 hydrocarbons. It just seems to me like we ought
3 to be focusing there, too. I get why we're doing
4 Canada, and obviously we're much more
5 interconnected there, but the opportunities for us
6 to have a more rational set of interconnections
7 with Mexico exists.

8 There's interests in bolstering
9 interconnections in Arizona, Texas, California --
10 we're already pretty well interconnected. Can you
11 just comment on what the think is about Mexico?

12 MR. PARKS: Yeah, I will comment for a
13 second and then I'm going to ask Pat to comment,
14 so I'm going to give her a minute to get her head
15 together. That was a warning, Pat. (Laughter)
16 So, as OE we've been working as part of a
17 trilateral for years that included Mexico. That's
18 a very important thing that it continues to do and
19 part of OE's function is to approve cross-border
20 permits. Those come from not just Canada, but
21 from Mexico, as well. So that is an activity that
22 -- and we're aware of some of the planning because

1 of those meetings that have gone on.

2 There is a lot more action right now in
3 Canada because in part some of the states are
4 reaching directly to Canada and asking for permit
5 activities, and those kind of things. So there's
6 just been a larger recent -- the last couple of
7 years -- activity that's been more bilaterally
8 focused, especially in trying to think about
9 moving the hydro and the wind interconnection down
10 from the provinces in Canada.

11 I think in the end of the day, as you
12 heard Pat say, the Secretary's interested and I
13 think there will be continued interest in how does
14 the international world play, and part of that is
15 the North American grid because, at the end of the
16 day, we do have a North American grid. I think
17 it's a great question. I don't have specific
18 answers on the best things to do in the short term
19 about Mexico, but there's certainly an awareness
20 of the situation in the kind of things that
21 they're asking for help with.

22 MR. ZICHELLA: Just a quick follow-up.

1 Is USAID on your list of partners? Because I've
2 run in to them several times in Mexico on the
3 electricity reorganization issue. They've had
4 staff on the ground working on it, and State
5 Department, obviously, too.

6 MR. PARKS: That may be one way to look
7 into where that's headed. We don't have the same
8 interconnections we do with Canada, but we could.

9 MR. IMHOFF: So my personal experience
10 is that USAID is, as we've continued to rely on
11 communications back and forth, we in the
12 Department just had someone come back from being
13 on detail to both USAID and the World Bank, so we
14 continue to have those kind of interplays and
15 connections.

16 In terms of really formalized, I'm not
17 cognizant of that. Things have been more
18 topically described type things and we've had some
19 discussions about portfolios. At the end of the
20 day we've tended to play historically more on the
21 technical side of international standards, those
22 kind of things, helping with ISGAN and those type

1 of activities. Different standards, but that's my
2 simple answer to that.

3 I think that's something that, depending
4 on how things go, will emerge in different ways.
5 Pat is there anything you would want to add to
6 that? Or Liz?

7 MS. DALTON: Yeah, so I apologize. I
8 stepped out and just came in on the tail end of
9 your question, but it was actually to get on a
10 call internally to get ready to talk about this
11 exact topic. (Laughter) Technical difficulties
12 with the phone connections, so I wasn't able to
13 connect.

14 But the Secretary, as Pat mentioned
15 before, heavy focus for the North American
16 trilateral arrangements, including Mexico,
17 obviously. The Secretary was in Winnipeg several
18 weeks ago for the North American trilateral
19 conversations where several of these issues came
20 up. We talked about things like the -- and I'm
21 sorry if you all did this while I'm gone, but the
22 regulatory side-by-side that we have with Canada,

1 trying to do the same thing with our Mexican
2 counterparts.

3 There are some other things like
4 road-mapping that we were talking through this
5 afternoon, so stay tuned. I'm sorry, but if I'd
6 had 15 more minutes of connectivity we could have
7 better answered that question for you. We can
8 follow up, certainly.

9 MR. PARKS: Next meeting. Any other
10 questions?

11 CHAIRMAN COWART: I'll take Wanda, Paul,
12 Anjan, and Pam, in that order.

13 MS. REDER: Bill, really good
14 presentation. I applaud the organization of it
15 and bringing all the lab activity together. I
16 know that's a tremendous amount of work. I
17 especially liked the two things on metrics and
18 demonstrations. Beyond that I am left with the
19 question of adaptation seems to be the challenge
20 and I know you're working very hard to reach out
21 to partners to try and get them involved in the
22 process. The workshops are certainly part of

1 this, as well, but can you expand on the thinking
2 that went into the release of the 88 projects,
3 kind of from a macro scale? How you're going to
4 get this activity and get it into the mainstream
5 of operations?

6 MR. PARKS: So, I'm going to start that
7 and I'm going to let Carl finish it, so I'm giving
8 him a head's up this time. Our thinking was,
9 really, we needed to, in part, make sure that our
10 internal efforts were well oiled and working
11 together. And that was part of why we focused on
12 the lab call first.

13 We also are looking -- there's some
14 broader themes that fit into that, that not only
15 from trying to have an impact as related to the
16 QER, but also to have impact on how -- the
17 Secretary has a great interest in how to make the
18 labs more impactful overall, and this is one of
19 the topics, but there are more topics that fall
20 into that. So it was also how do we be smarter
21 about engaging our labs in our mission space?
22 That factored into some of that. That says work

1 on the lab site first. And as soon as we turned
2 to the lab site, again, the partners became
3 critically important in that and that's why we
4 went the way we did.

5 We are looking at how are we going to
6 have FOWAs that relate into both what we're doing
7 now and the gaps that we've left from what we see
8 are out there. And how do we get things to
9 implement more? There are discussions going on,
10 on the RBE side, on how do we be more successful
11 at getting the commercialization side into play
12 there? The Secretary and the head of RBE are
13 having those kind of discussions now. So we're
14 looking at how do we get more effective as an
15 organization at getting real things into the
16 market faster?

17 The types of things that I think are
18 crucially important and I still feel at times
19 we're like the Russian Front, you know? It's
20 2,000 miles long, type of thing. And so it's what
21 we continue to look at and it gets a little bit
22 back to what Pat was saying at the beginning.

1 What are the strategic priority things that you do
2 now and what are the things that flow a little
3 further down the road? We've tried to roadmap and
4 look at those kind of things.

5 So I think, unfortunately, we're still
6 going to be in some places a little more piecemeal
7 than we really want to be, just because of the
8 reality of funds and the situation with people in
9 and all. And that's why we're also trying to tie
10 both the short term what are the state needs into
11 the longer term. What do we need to really have
12 an integrated system across -- and answer some of
13 the questions about how integrated is that system
14 at the end of the day?

15 So all those things are in play. I
16 don't have a simple answer to all of that, other
17 than we think it's really important to stir it all
18 and look at it and say what really floats in terms
19 of priorities? And what does that tell you about
20 timelines of things? And some things simply
21 aren't ready. People have concepts that they
22 throw out, but there's really not enough

1 information about does that make sense? And we're
2 doing that ourselves in the transactive area. We
3 think that could be an important thing, but
4 exactly how that plays in what regions -- so we
5 want to test drive that at Washington State and
6 some other places and expand what we did on the RS
7 side because we learned a lot of useful
8 information, but not enough to say, hey, this is
9 what you want to set up, and we would suggest that
10 you do, if you are a state or a region.

11 Carl, would you like to pick up on that?

12 MR. IMHOFF: Does this work? Great. So
13 to add to what Bill said, Wanda, at the core we're
14 working on generating new knowledge, open
15 platforms for next generation tools, and next
16 generation data sets that should accelerate the
17 engagement with the ecosystem of vendors and
18 utilities in the states. So by design, we will
19 have advisory groups that will include all of
20 those stakeholders working with us in the
21 development of this next generation of new
22 knowledge, platforms, data sets.

1 You also saw that immediately we'll have
2 11 regional demonstrations where we'll get
3 regional engagement right away from day 1 as a
4 starter set of engagements. And then in the
5 regional workshops we're holding we're asking each
6 of the regions to begin to illuminate the emerging
7 regional priorities for grid modernization, with
8 the intent that in two to three years, as some of
9 these products come to fruition, we will look to
10 if funding's available, that next round of
11 regional demonstrations that would help
12 demonstrate this next activity, working with those
13 stakeholders, the vendors, the utilities, and the
14 states.

15 So it's orchestrated engagement from day
16 1. Open design with engagement of all the
17 stakeholders and the development of the new
18 products aiming towards this next round of
19 regional demonstrations. And we had a
20 conversation with Anjan's subcommittee today about
21 the high value that we would see of the EAC
22 subcommittee helping frame those critical

1 legislative and regulatory questions that they
2 would like to have answered with this next round
3 of demonstrations, so that we can make sure that
4 we're aiming at those very directly.

5 CHAIRMAN COWART: He's got the -- David,
6 did you have a quick comment? I know there's a
7 line.

8 MR. MEYER: Yes. If you recall, there
9 was an announcement in mid-February about the
10 formation of a clean energy coalition by 17
11 governors and these included the governors of
12 Hawaii, California, New York, Massachusetts, Ohio.
13 And I don't remember all of them at the moment,
14 but at any rate, this immediately registered as an
15 opportunity for us because we're already working
16 with some of these states and the others are
17 saying, hey, we see the need to do this. And so
18 we have reached out to the people who helped to
19 organize this coalition and said we've got
20 something we think you would be interested in.
21 And they said, you betcha.

22 And so I think that's another avenue.

1 And by pursuing these kinds of opportunities we
2 will make some very significant headway, I think.

3 MR. PARKS: Thank you. Rich?

4 CHAIRMAN COWART: Next up is Paul.

5 MR. PARKS: Oh.

6 MR. CENTOLELLA: So, Bill, I want to
7 just ask about something that I think maybe I had
8 not fully understood before I saw it on your
9 presentation, and that is the demonstration about
10 the lean power system. I had previously thought
11 about this not so much as focused on lean reserve
12 margins, but on better asset utilization, whether
13 that's at the demand level, transmission topology,
14 voltage management, et cetera, taking some of the
15 variability out of the system, so that the system
16 is overall more efficient and more affordable
17 rather than just trying to reduce reserve margins.

18 And I'm wondering where that broader
19 question of system efficiency fits with respect to
20 the things that you're envisioning going forward.

21 MR. PARKS: You're exactly right, Paul,
22 I just went too fast in some ways in trying to

1 summarize things. But all those things -- because
2 what we really want to do is look at what are the
3 suite of options that we have and what makes sense
4 for that regional transmission-distribution
5 interface area to look at what are the kinds of
6 things that we could do. So if demand response,
7 as an example, can play harder in one place and
8 play up to the transmission wholesale market --
9 assuming that you get all the rules right for us
10 -- that that's an option that would factor into
11 that.

12 The reason we want to think about trying
13 to do more than one of these in places is we're
14 going to have different solution sets in different
15 parts of the country.

16 So, Carl, any more you'd add on that
17 one?

18 MR. IMHOFF: No, I think that covers it,
19 Paul. Those other items are in there in terms of
20 dynamic (inaudible) rating and other things to get
21 more utilization out of the assets, help better
22 exchange of power across the regions, et cetera.

1 But also then run closer to the edge of the system
2 you have as long as we can validate that we can
3 maintain reliability.

4 MR. CENTOLELLA: So that you have some
5 success metrics other than just reducing reserve
6 margin then in this project.

7 MR. IMHOFF: Yes.

8 MR. PARKS: Correct.

9 MR. IMHOFF: Gordon?

10 MR. VAN WELIE: Hey, Bill, how are you?

11 MR. PARKS: Okay, great. How are you,
12 sir?

13 MR. VAN WELIE: Well, thank you. So I
14 thought that was an excellent presentation and I
15 have a few assumptions about the presentation
16 which you might want to clarify for me. And then
17 I have a question, I guess.

18 So, listening to this, I find it both
19 exciting and frustrating at the same time. And
20 what I think when I say that is this discussion
21 around the lean grid or, I think, the previous
22 speaker mentioned the hybrid grid, and something

1 we're spending a lot of time thinking about and
2 worrying about because we're in the middle of it
3 right now. And if I look at this as an engineer
4 and I say I think it's a really good idea that
5 somebody's looking at the technical feasibility of
6 what's possible. So that's the exciting part.

7 MR. IMHOFF: Right.

8 MR. VAN WELIE: The frustrating part
9 about this is that I don't see anyone looking at
10 how we get operational accountability and
11 financial accountability in order to make what
12 might be technically feasible possible. So we
13 have a split regulatory system in this country and
14 so the financial incentives and the operational
15 accountabilities of resources at the distribution
16 level are completely different from what is
17 happening at the grid level, at the wholesale
18 market level. And yet if our assumption is that
19 we're going to have a hybrid grid, to use the term
20 in the last presentation, which is a term that
21 we're using more frequently now.

22 If we can have a hybrid grid and we

1 expect all of these resources to show up when
2 we're in a 30-minute reserve deficiency, what we
3 need is a system operator, is operational
4 accountability that's consistent. When you say
5 the words "operational accountability" it means
6 that you need to present the same set of financial
7 accountabilities or financial systems.

8 MR. IMHOFF: Right.

9 MR. VAN WELIE: So what worries me is
10 that we are way ahead with regard to our
11 engineering thinking about this and we're way
12 behind with regard to thinking through how to
13 structure this in a way that is even feasible.

14 MR. IMHOFF: So, Gordon, I've lost sleep
15 over that and I'm sure you have, too. And in our
16 Austin meeting and other meetings people have also
17 reflected that, wow, there's some disconnect. And
18 we went around and asked questions at different
19 meetings of what's most important to do first,
20 kind of thing, out of prioritization. And it's
21 like, well, if you can get more clarity on that
22 regulatory policy front, that would sure help us

1 make decisions because we can move capital, and
2 then things to do that.

3 At the end of the day, it gets back to
4 -- I think, as I look at this, you look at some
5 states have 2040, 2045 goals, that kind of thing.
6 We're not going to do all of this in the first
7 wave of demonstrations. We're just not going to,
8 it's too complicated. There are too many
9 unresolved issues for my viewpoint.

10 So the question is, can we still think
11 about leapfrogging a set of demonstrations over
12 time, every five or seven years, where we tackle
13 as many of these things as we can or we get them
14 embedded in the thinking? And even if we frame
15 things, even if we don't know all of the answers
16 -- one set will do of the demonstrations -- at the
17 end of the day we're not going to prove it all out
18 by five years from today. It's too complicated.

19 So can we take reasonable but aggressive
20 steps that lead us in the direction while, at the
21 same time, recognizing some of the questions that
22 people are trying to answer in real time today?

1 And how we connect those, if we can short-circuit
2 some of that? And that gets a little bit into why
3 we want to try to tie some of these future models
4 and planning activities together because if we can
5 create the story of how the regulatory and policy
6 world should move, or the options for it to move,
7 in order to get this into the marketplace, not
8 just as a demonstration, but I think we've
9 advanced the discussion further.

10 But at the end of the day it's a very
11 hard proposition and I think it's going to take
12 iterations to really get us at major changes of
13 that.

14 MR. VAN WELIE: I guess my question is
15 who has the responsibility for looking at this
16 problem?

17 MR. IMHOFF: Well, I think the answer is
18 that it's not a single entity. It's not going to
19 be -- from my viewpoint, and others can speak up.
20 And so that's why it's really, really important to
21 form regional teams. The team has enough of its
22 members that say, okay, collectively we could move

1 that space.

2 And there's some few examples of where
3 we've done that. We did that in Hawaii, where we
4 had the consumer advocate, the governor's office,
5 the state legislature, the prime utilities, and
6 all the decision makers that had to move major
7 decisions, make compromises, and go forward with
8 those compromises, to try things out and to say,
9 okay, you can take a risk on this. It's not too
10 big a risk right yet, so we'll take that risk and
11 move it forward.

12 And that opened up lots of actions at
13 the PUC level and that kind of thing. The key to
14 that, that we see and how we're trying to apply
15 this, is to remain vigilant. So that if you make
16 a really dumb mistake or what turns out to be an
17 unintended consequence, you also have the players
18 at the table that can make corrective actions in
19 those kind of things.

20 It's not simple, as I see it. It's not
21 simple at all. And I think you're going to see
22 people take off bites like New York did, and

1 saying we're not really going to tackle all the
2 regulatory state jurisdictional issues in one
3 bite. We're going to think about what things we
4 can do now that the state controls as part of the
5 rev activities.

6 MR. VAN WELIE: Could you at least
7 through this process tee up the unresolved issues?

8 MR. IMHOFF: I'm sorry, Gordon, I missed
9 it?

10 MR. VAN WELIE: That at least through
11 the process tee up the unresolved issues because
12 there's an educational component to this. I think
13 a lot of folk focus on what's technically feasible
14 without thinking about the other dimensions of the
15 problem. And it's not that they are deliberate --
16 the exciting stuff is around the technology very
17 often --

18 MR. IMHOFF: Right.

19 MR. VAN WELIE: -- and the really hard
20 stuff is around the policy and the jurisdictional
21 stuff. And so at least exposing that there's this
22 list of unresolved issues that has to be worked

1 through, I think, provides some balance in the
2 communication.

3 MR. IMHOFF: I think that's a major
4 outcome. I'm sorry, just let me answer quickly --

5 CHAIRMAN COWART: Wait, we're way over
6 time here and I know this is an important
7 dialogue, but I would like to hear Pam's question
8 and then we'll need to call this to a close.

9 MR. IMHOFF: I'll keep it really short.
10 I agree with you and we need to think about it.
11 And I think that education replication abilities
12 are applied to what's useful is a critical piece
13 of all of this. I think we've failed. If we
14 demonstrate things, we don't have an ability to
15 really let people utilize and build on that in a
16 constructive and relatively fast way. Then I
17 think we've really not been as successful as we
18 want to be, despite all our neat technical things
19 that we're going to do.

20 So what it says is that we've got to be
21 smart up front, we've got to really craft these,
22 and it gets a little bit back to the metrics

1 discussion. What do we want to prove out as we do
2 this demonstration? Which of these attributes?
3 Which of the policy things do we want embedded in
4 this to answer what questions for each of those
5 demonstrations. And we need a set of solutions
6 for each of those if we're going to truly advance
7 the ball, from my viewpoint.

8 Thank you very much. I really
9 appreciate it.

10 MS. SILBERSTEIN: One more question, and
11 hopefully somewhat easier, there is a focus in the
12 MYPP about valuation. And we just heard from the
13 previous speaker, a big focus there, too. And
14 just from a policy and process prospective, are
15 these dual, parallel, interlocking efforts, how
16 does one fit into the other? It's a topic of big
17 interest to co-ops and just how best to engage
18 here?

19 MR. PARKS: So, if you recall -- and I
20 think you were at the meeting we had a little less
21 than two years ago on a thing -- a couple days.
22 Actually it went fairly well and we built on that

1 jointly and we're building on the activities
2 jointly now. We're trying to, from our side and
3 the live side, really reinforce what EPSA's doing
4 right now with valuation. David, I believe, is on
5 a planning Committee that's looking at a valuation
6 workshop coming up in the next quarter or so. So
7 we really have restarted that effort a little more
8 aggressively, but in tandem with EPSA on how we're
9 going forward.

10 So hopefully, we will speak pretty
11 consistently about it and we will also be very
12 transparent at what we're looking at. Thank you
13 again.

14 CHAIRMAN COWART: Bill, thanks very
15 much.

16 MS. HOFFMAN: So while we're
17 transitioning, I just want to correct the record.
18 I know David talked about -- it's the Governor's
19 Accord for a New Energy Future, so if you do a
20 Google search, it's the Governor's Accord for a
21 New Energy Future.

22 CHAIRMAN COWART: Thank you. Anjan,

1 morning, but here a three things that I wrote down
2 that maybe would help. For the first question is,
3 what is the appropriate federal role, specifically
4 the U.S. Department of Energy role, in this field,
5 in this area? Because as many people have already
6 pointed out, the acceptance of all of this depends
7 on state and the industry as a whole and these are
8 all kinds of multiple players involved, and this
9 has been pointed out.

10 And I think there is a relationship
11 between what you heard from EPSA in their QER
12 second phase, looking at the policy side of things
13 and the research agenda that Bill talked about,
14 one. And the second one is exactly what Gordon
15 was talking about, the connection between
16 technology and policy. And this is particularly
17 acute in this area of grid modernization because a
18 lot of the research agenda is looking at
19 system-wide things like operations or planning,
20 and that's directly affected by policy issues.
21 And so then the question is, how do we suggest
22 that the people doing the research make sure that

1 we just don't do feasibility research and say, of
2 course, we can do this engineering-wise or it will
3 never get done because there are all kind of
4 things on the way. So the question is how do we
5 suggest that the researchers talk about the
6 difference, the things that the technology can do
7 and how the different kinds of policies would
8 affect that technology?

9 And let me just give an example. You
10 know, it's one thing to talk about something like
11 a PV panel or storage technology. And you can
12 talk about how good it is, how much it costs, and
13 how its performance is. But when you say that,
14 well, what is the penetration level that you can
15 handle given the new technologies? That's the
16 question that comes up when you're looking at the
17 systems type, this kind of issues.

18 And so we need to give some guidance to
19 the researchers on this as to how to put out their
20 results. And then that leads us to the third
21 point that I had here that was on success metrics.
22 And, of course, there is one of the main projects

1 for the labs to do is the one on metrics, so
2 that's not what I'm talking about here.

3 What we talked about on success metrics
4 is how do we make sure that all of this technology
5 that's being developed has a pathway to actual
6 adaptation by industry? And it seems to me that
7 -- and we've talked about demonstration here and
8 there obviously has to be some demonstrations to
9 do the convincing of the technology, for people to
10 adopt, but it's not that simple what the research
11 can do. How is the research going to set up for
12 these demonstrations, and what are the right
13 demonstrations, and would the demonstrations
14 actually give the right kind of results? What
15 will it take to do the convincing?

16 And we kind of focus in on two areas
17 here. One was the simulation because most of
18 these systems-type large things, nobody's going to
19 put into practice until you've actually simulated
20 it and showed some promise before you even try a
21 pilot type of a project. So simulation is one
22 important thing.

1 And the data. Simulated data is not
2 enough to convince people because people will
3 immediately say, well, your models are no good, or
4 whatever. So you have to make sure that the
5 simulations that you're doing is actually based on
6 real data, from the real world, from the people
7 who are actually operating the system.

8 So that's, I think, a very critical part
9 of these things. And these are three areas with
10 many sub-areas that we thought that the EAC could
11 actually help in setting up some guidelines along
12 these lines.

13 So I'll leave it. Maybe some of the EAC
14 members who are in our morning meeting, or others,
15 would have a comment?

16 CHAIRMAN COWART: If someone has just a
17 quick comment about the morning meeting, we can
18 take it? Otherwise we're going to move to a
19 break. Yes, Phyllis?

20 MS. CURRIE: Well, one of the comments
21 that we did talk about a lot was that even if you
22 have technology that is demonstrated to be

1 effective long term, or has the potential, one of
2 the challenges is that the investment required to
3 deploy it requires a lot of actions at state and
4 local levels. And how do you get the general
5 knowledge out there so that deployment has a more
6 receptive audience?

7 So we talked about one of the roles that
8 DOE can play and we were told that it's really not
9 in your mission to educate. But education is
10 really essential because so many laypeople don't
11 understand this industry. Our industry is full of
12 acronyms, so you have to speak in plain English to
13 people about, really, what's the status of the
14 transmission and distribution systems today and
15 what's in the future. And how do the technology
16 investments that we find are going to be valuable,
17 why is there value to approving the rate increases
18 that will be necessary to deploy?

19 So, again, that was a lot of discussion
20 around how do you bring that overall knowledge to
21 the general public so that they will be supportive
22 of these investments?

1 CHAIRMAN COWART: All right. Thank you
2 very much and thank you, Anjan. We are behind
3 schedule. It's not irredeemable, but we're up for
4 a break and I would like to take a break. And it
5 won't be a sloppy 15 minutes, it will be a sharp
6 10. And we're going to come back and get going
7 right away. Thanks very much.

8 (Recess)

9 CHAIRMAN COWART: Unlike the really
10 thorny questions that we just dealt with, we now
11 have a panel on the easy stuff. The valuation and
12 integration of distributed resources and Paul
13 Centolella will take this panel. Thank you, Paul.

14 MR. CENTOLELLA: Thank you, Rich. So
15 it's my pleasure to have here what is really a
16 stellar panel of experts. I think we're, if we
17 can get that up, you'll see a summary of their
18 qualifications. I won't try to go through all of
19 it or I could spend most of the next hour talking
20 about what all these guys have accomplished.

21 But, you know, what we try to do, what
22 we've been trying to do in the Smart Grid

1 Subcommittee is to go from this issue of, you know,
2 looking at DER kind of from fixed viewpoints that
3 many people enter this discussion at. You know,
4 that DER either is a cost or that it has 30
5 different value propositions and try to really
6 come down and think about, what does this really
7 mean?

8 And so, we put together a panel of folks
9 that is looking at this question from four very
10 interesting, and I think leading-edge
11 perspectives. So, our four panelists, I'll just
12 talk about what they're going to focus on very
13 briefly.

14 Bill Kallcock is the Vice President of
15 Grid Analytics, with Integral Analytics. And his
16 firm has really been looking at the question of
17 distribution planning and long-term forecasts of
18 distribution value. You know, and what role DER
19 can play in that. And so you'll get a planning
20 perspective from Bill.

21 Professor Caramanis was part of the
22 original group that put together the math for what

1 we now call LMP Pricing. And has now taken that
2 work and is looking at distribution level LMPs
3 within the distribution system for real and
4 reactive power, as well as for various levels of
5 reserves. And can talk about, you know, what it
6 would mean to think about this from a more market
7 perspective of how you could begin to attach
8 market-based values to the products that
9 distributed energy resources provide at different
10 times and locations within a distribution grid.

11 Professor Divan is both a scholar and
12 also an innovator, and he will talk about this
13 from the perspective of controlling things at the
14 grid edge. You'll probably hear a little bit
15 about one of, I think, he's got at least four
16 different start-ups that he's done in different
17 kinds of control technology. He'll talk a little
18 bit about some grid- edge voltage control, as well
19 as talk about what are the implications of
20 thinking about a different kind of control
21 architecture for the power system, and how does
22 that then affect how you think about distributed

1 energy resources.

2 And finally, we all know Heather Sanders
3 is a member of the EAC, but she's also the person
4 who is principally responsible at Edison for
5 trying to implement the CPUC's distributed energy
6 resource guidelines and manage distribution
7 planning in a real world context where she has to
8 actually deal with things that go wrong on the
9 distribution grid when you don't get it right.

10 So I think this is going to be a
11 fascinating panel. I won't spend any more time
12 talking about them, I'm going to let them
13 introduce the topics. Bill.

14 MR. KALLOCK: Great, thank you, Paul.
15 And thank you for the opportunity to speak today.
16 I apologize, I've got a bit of a cold so I'll try
17 and flop through here. So, our company has really
18 been focusing on trying to understand the avoided
19 costs from way back, as far back as 2005.

20 And really understanding the cost
21 effectiveness of energy efficiency, the
22 demand-side management measures that have all gone

1 into DERs now. So we've been kind of focusing on
2 avoided costs for a long time. And in the last
3 six years we've realized that the value of DER
4 really is based upon a much more granular avoided
5 cost that you have to figure out what the
6 avoided cost, or the customer's cost to serve all
7 the way down to the edge of the grid.

8 Some of the customers we've been working
9 with over the last 10, 11 years now are Duke
10 Energy, KCP&L. We're currently working with all
11 three IOUs in California on their resource
12 planning. We are working with SAE on a pilot with
13 our low-tier software that I'll be talking about
14 today.

15 So, I think we all intuitively know that
16 DER, the location matters. Putting a PV system
17 on one part of the grid is going to have more
18 benefits than another part of the grid. The
19 question comes along, how much more benefits? How
20 do you quantify what those benefits are of that PV
21 system, of that DG, of that storage, and that's
22 really the question that our company is trying to

1 answer.

2 So what you see here is really
3 optimization of a bunch of DERs. This is PV
4 storage and demand response. I'll talk about how
5 we get to this, as we go through the presentation.

6 But it really starts with this matrix.
7 And there's really four quadrants that we've kind
8 of identified as going into the grid edge avoided
9 costs and that is, it starts with the LMP in the
10 lower right, and then it goes over on to the grid
11 side, we have the fixed costs. So we're really
12 trying to understand where on the distribution
13 system you can get credit for deferring capacity
14 upgrades. Whether it's a transformer upgrade;
15 whether it's a substation upgrade; whether it's
16 deferring the reformer, the lines.

17 And then going up from that into the
18 variable costs in the grid side, where are you
19 going to be able to improve voltage issues? Where
20 is the DER benefits of power factor improvement,
21 reduced line losses and other limiting factors
22 that some of my other panelists will drill down

1 further on some of these.

2 And then it's also on the supply side.

3 Is the DER, is the battery-frame example able to
4 provide frequency response benefits? And how do
5 you quantify those benefits.

6 So as a company, we're trying to capture
7 all these benefits and put it into what we call a
8 distributed marginal cost, or a marginal cost down
9 at the edge of the grid.

10 So where do we start? Well first we
11 have to understand where the grid is going to be
12 constrained. Not where it's constrained today,
13 but where it's going to be constrained in 5 years,
14 10 years, 15 years.

15 And to do this, we use long-term
16 forecasts. We have three different long-term
17 forecast approaches that we use. The first one is
18 the spatial load forecasting. So we forecast
19 utility load growth on an acre-by-acre basis 5,
20 10, 15 years out. So we can get very granular in
21 terms of where that load growth is going to
22 happen, where the projections of DERs are going to

1 happen.

2 And we do this through a scenario
3 analysis. It's not just one forecast of the land
4 use. But a probability forecast of penetrations
5 of different DERs of different growth scenarios.
6 And then we pull into the corporate forecast,
7 which is the top down forecast and we do that,
8 spread it across the customers' accounts by the
9 megawatt hours. And then we do a circuit peak
10 load forecast. And I'll talk a little bit more
11 about these. But the spatial load forecast really
12 starts with 30 years of satellite information. We
13 pull all that into GIS. We pull a bunch of
14 different variables in such as, different
15 penetrations of DERs; projections of commercial
16 growth; a hydro factory coming into a service
17 territory; a light rail situation coming in.

18 We pull those all in and what we end up
19 with is a graph like this. The yellow line you
20 see here is the capacity of the circuit, and you
21 can see that there's a planned upgrade in 2019.
22 The lines you see across here, the gray line, the

1 blue line and the red line are those three
2 forecasts combined. And the dotted line that
3 you're seeing is how those forecasts are related
4 to weather. This is key. You can't just look at
5 the forecast and say okay, well this is what the
6 forecast is going to be over the next 25 years or
7 so. But you have to look at the impact of the
8 weather on that forecast. What's that extreme
9 weather event, and how does that extreme weather
10 event going to impact the capacity of this -- this
11 is actually a feeder. That's what the
12 distribution engineer is going to look at.

13 So in this situation you can see that
14 there is a weather risk associated with the growth
15 on this circuit, but, we do our scenario analysis.
16 We go through and we figure out what different mix
17 of DERs can impact that. And we end up with a
18 deferral capacity here for off-setting the
19 intermediate upgrade. We're making sure that that
20 system can get to that planned upgrade in 2019.
21 So we capture that fixed cost/deferral capacity
22 amount. And I can go into much more detail, I've

1 only got 15 minutes. I usually take about an
2 hour-and-a-half on this presentation. So bear
3 with me. I'm trying to go quick.

4 The next aspect here is understanding,
5 once you understand the load on each of the
6 circuits and each of the feeders, understanding
7 what the technical limits are for DERs. For
8 example, how much PV hosting capacity is there on
9 this feeder?

10 Here we've got an example of looking at
11 the loads on the feeder. Actually this is a
12 circuit and taking a look at what the minimum
13 loads are, we can figure out that if you constrain
14 it by no backfeeding onto the system that this
15 circuit can handle 7.38 megawatts of PV before you
16 cause back feeding onto the system. It's not a
17 percent reduction, the overall capacity of the
18 feeder, but it's actually related to what the
19 minimum load is. So it's essential to really
20 understand what the loads are on a feeder by
21 feeder basis, even down to the customer service
22 transformer basis.

1 And this is the type of analysis that
2 we're doing for utilities around the country right
3 now. We're doing this with California. We're
4 doing this with some of the New York utilities.
5 Really trying to understand what the technical
6 limits are based upon what's going down at the
7 edge of the grid. How much load is at the edge of
8 the grid?

9 Limiting factors -- so once we
10 understand what's going on with the load at the
11 edge of the grid, we actually combine that with
12 the power flow models. Such as a SYME, Synergi or
13 Milsoft. And we take those power flow models that
14 usually stop at a node, and we snap that down to
15 our customer level load forecast, so that we can
16 get a very, very granular look at that power flow
17 analysis and understand exactly what the limiting
18 factors are. If I had a mouse, I could do an
19 animation here. I do have a mouse. Anyway, I'll
20 move along.

21 What you would see here is that we are
22 looking at a very granular constraint of voltage

1 and line overloading. Oh it is running, thank
2 you. So you can see the blue is being, the
3 voltage being lower and the red area is showing
4 where you're overloading a line. So once you take
5 those power flow models and you match them with
6 the load forecast at the edge of the grid, you can
7 get a much more granular understanding of how the
8 DER penetration can impact some of these load flow
9 limiting factors. And I think some of my
10 colleagues will talk about that in more detail.

11 So there's other advantages of DERs. I
12 think we all kind of know about these. Another
13 example here is reducing the volatility of load on
14 a transformer. Here we're talking about the
15 choreography of DERs. Choreographing the water
16 heaters, the air conditioners -- in this case,
17 this was actually a project that we did for Duke
18 Energy back in 2008. Where this was the
19 volatility across six residential transformers.
20 We choreographed the loads on those transformers
21 using our economic signal so that we could load
22 levelize. And of course, the benefits here, are

1 benefits that can be quantified and put into the
2 distributed marginal cost.

3 So that's a quick summary of the four
4 matrix here. Of course, the lower right there
5 I've kind of glossed over is the LMP. It's a
6 forecast of the LMP over a ten-year period. But
7 when you get this, you end up getting what we call
8 the DMP or DMC, distributed marginal cost. Which
9 is the blue line in this graph. And so you end up
10 with the cost of service or the distributed
11 marginal cost. By customer service transformer we
12 could actually do this all the way down to the
13 customer level. The example you're looking at is
14 by customer service transformer. So here you're
15 seeing that blue line, you're seeing the
16 volatility and how much that cost of service, or
17 of avoided costs changes by customer service
18 transformer. Once you have that value and you
19 have the load shapes of the different types of
20 DER, you can actually create an optimal mix of DER
21 by customer service transformer. And I think this
22 is really where we're all trying to get to. It's

1 trying to figure out what the least cost mix is of
2 DER.

3 The first step of course is to find that
4 economic signal that DMC, and then once you do
5 that, you can pull in the technical constraints of
6 the different types of DERs and create the optimal
7 mix.

8 Here we're actually optimizing on the
9 TRC, the total resource cost test across the
10 circuit. So you can see the TRC score here is .93
11 but the utility cost test I want to point out is
12 higher at 4.4. So there is definitely a lot of
13 benefits to the utility so that they could do a
14 lot of things on the cost side as well to even
15 those things out.

16 I have another animation here that takes
17 us to another, to the operational step. Once you
18 have the DMC for a long-term planning, we can
19 bring that DMC, thank you for making this run. We
20 can use that DMC and bring it down to an hourly
21 basis to send that economic dispatching signal or
22 prices to devices, to battery storage, to demand

1 response, to devices in the field. Here you see
2 batteries in blue charging up at different stages
3 according to the different feeders. And then you
4 see that the red dots being the demand response or
5 flexible demand is probably a better term or
6 responsive demand, is you can see how that kind of
7 feathers in to help balance the grid to deliver
8 least cost resources.

9 So, some of the lessons that we've
10 learned in California is that reliability remains
11 a top priority. They've got all kinds of
12 resources coming on at the edge of the grid. It's
13 a wild west, but in order to try and tame that
14 wild west, we need to have long-term forecasts.
15 It really requires that ten-year forecast.

16 Proportionally spreading out the
17 forecast doesn't work, you really got to do it
18 from the bottom up, from the edge of the grid up
19 and that's why we really focus on that granular
20 load forecasting. And each circuit, each feeder,
21 each customer service transformer has different
22 operational needs. We really focus on the edge of

1 the grid, focusing on those needs from the bottom
2 up, and then understanding the DER hosting
3 technical limits is crucial.

4 And that's why we look at it not only
5 from the capacity of the system but also the power
6 flow analysis and the limiting factors of that
7 power flow analysis, so that we can really
8 quantify and put in a true hosting capacity for
9 the different types of DER.

10 Does this matter? So this is all great
11 and all that we can do this, but it absolutely
12 matters. This is an example of a feeder -- one
13 circuit in California where if you did a
14 traditional average avoided costs across the
15 different customers, across the different feeders,
16 you'd come up with a value of about \$200,000 for
17 this mix of DERs, or \$300,000 excuse me. But this
18 more granular mix and really understanding what
19 the true value is of the DER at this particular
20 feeder level. Excuse me, circuit level. You're
21 going to see benefits of about 1.7, so about a 500
22 percent increase in benefits, if you focus down

1 and understand the true cost of service. Not all
2 feeders are going to have this 500 percent
3 difference; not all circuits are going to have
4 this 500 percent difference. But we need to find
5 the ones that are. And we need to target the DERs
6 to those feeders where they're going to have the
7 biggest impact so that we can have the least cost
8 planning.

9 So I think that's, oh, one last slide
10 here. Just in summary, determine the capacity
11 deferral by location. We've talked about that.
12 Quantify the power flow benefits so it's
13 imperative to make that connection. Capture the
14 variable side grid benefits like supply following,
15 that's essential.

16 We've done projects where we've actually
17 controlled load and response to wind, creating
18 huge benefits for the utility. Forecasting
19 circuit peak loads and avoiding the over averaging
20 of the T&D. And I think this is one of the
21 biggest ones is the over averaging of the T&D
22 benefits. It's one that everybody kind of

1 recognizes today, but it's one that we've really
2 drilled down upon.

3 So in summary, and I know we're running
4 behind so I'm trying to keep us going here. We
5 need a granular analysis to capture the full
6 benefits of DER at the edge of the grid. It's not
7 something that is a great idea, but we're actually
8 implementing it. We've actually been doing this
9 for utilities around the country. And I
10 appreciate the opportunity to be here today to
11 tell you about this work that we are doing and to
12 let you know that it's not theoretical. This
13 level of analysis is happening out there, and we
14 encourage it to continue. Absolutely. So thank
15 you.

16 MR. CENTOLELLA: Thank you very much,
17 Bill. We're going to move right on to Michael,
18 and we'll hold the questions until the end of the
19 panel.

20 PROFESSOR CARAMANIS: Thank you for the
21 opportunity of letting me address this group.
22 It's an honor. So I'll have to go through the

1 slides a little bit faster so we can catch up on
2 time.

3 The idea is to look at, I mean don't
4 think about markets necessarily, but think about
5 dynamic marginal costing on a location basis which
6 is broadly construed. And which is related to
7 multiple time scales, from their head hourly to
8 our head five minutes. And then essentially, the
9 real time, which leaves the realm of markets or
10 marginal costing and approaches the physical
11 system behavior, and that's something that is
12 generally settled outside of markets and so on.

13 So what are -- my previous slide was
14 putting a plug in as to how loads and generation
15 has changed, or the mix of generation and the mix
16 of loads has changed with the entrance of
17 distributed energy resources, with the entrance of
18 not storage quite yet, but of storage like loads,
19 as well the prospect of storage and of the broader
20 capability of distributed energy resources to
21 cater to the whole basket of goods that
22 essentially we are dealing with. They are part of

1 the active power in reserves. So, marginal costs
2 that can be transformed into prices should be
3 broadly construed and actually their major
4 components differ to some extent as we move from
5 high voltage distribution system, where line
6 congestion and losses are important and where
7 stability and desired procurement and deployment
8 is important.

9 Of course at the interface of the
10 transmission system or the distribution system at
11 the substation level, the sub-transmission, so
12 that interface then does exchange in the, and
13 there must be some sort of consistency in the
14 marginal cost and marginal value of all these
15 products real power, the active power in reserves.

16 At the transmission level, most of the
17 busses have the capability to control voltage, so
18 voltage is not a constraint but transmission line
19 congestion is what is important. At the
20 distribution network, if we want to move a
21 distribution network looking forward into sort of
22 a big jump, where we make a qualitative change in

1 the way we approach things and we manage the
2 system, there are essentially no lines. They're
3 not hard line constraints, line flow constraints.
4 Although, there are soft constraints which have to
5 do with transformers for example, that we can view
6 as a line, which has a penalty or a soft
7 constraint associated with it. With its loss of
8 life if we try to load it close to and above its
9 regular capacity. Losses of course are important
10 for they have unreactive power and because voltage
11 control is important because we have to establish
12 and adhere to voltage limits at multiple loads of
13 the distribution network. Real and reactive power
14 is very, very important, enhance the way that we
15 model load flow and what is happening has to be
16 more accurate. We have to deal with more precise
17 alternating current in voltage models. And at the
18 interface of course, the, it's important to be
19 able to capture the response of marginal costs to
20 transmission needs and the ability to deliver
21 reserves to the transmission system. But this
22 delivery is quite complex from the distribution

1 level. It is quite complex in the sense that, in
2 the sense that we have to worry about voltage
3 constraints, in addition to being able to deliver
4 reserves.

5 So for example, if a particular
6 distributed energy source or flexible load is able
7 to promise in the market, at the market level to
8 promise to increase its output or decrease its
9 output as a distributive generator or do the
10 opposite if it's a load. Right, decrease your
11 load or increase your load and provide by the
12 actual reserves. The ability to deliver is very
13 much dependent on voltage (inaudible) that may
14 come up, and hence, there's some sort of a synergy
15 between the active power compensation and the
16 active power offering by the same distributed
17 energy source or other distributed energy
18 resources that has to somehow be copasetic with
19 the reserve offering. And the important thing is
20 to be able to promise reserves and that can be
21 done at the market time scale but then the actual
22 deployment of this resource has to be done very

1 often in real time. If you are talking about
2 primary reserves, there are certain flexible
3 loads. Data centers for example can provide even,
4 almost real time nanosecond type of response and
5 of course at the level of regulation service.
6 Secondary reserves can be provided.

7 However, in order to provide these under
8 the contingency that, the contingencies have to be
9 taken into consideration. For example, what if
10 all the secondary reserves are requested by the
11 transmission system? Will that be able to, are we
12 going to be able to deliver this? In order to be
13 able to deliver this we have to make sure that we
14 offer also the appropriate reactive power response
15 to make this possible to the extent it's possible.
16 And if we can't, if we still can't do it at limits
17 the amount of reserves that we can offer are going
18 upwards.

19 So here we have a different type of
20 congestion than we have here. The congestion here
21 is hard in terms of the voltage constraints and
22 soft in terms of transformer utilization.

1 Let me, in the interest of time, do I
2 have five? About 8 minutes. Okay so in the
3 interest of time, let me actually skip some of the
4 details and go over. I'll tell you what these
5 details were. These details were showing what the
6 different costs are of the transmission
7 distribution, what the interface is and what the
8 additional effort in terms of modeling the network
9 is at the distribution network. So I'm going to
10 spare you with these details. And also they were
11 showing how actually at the interface between the
12 transmission and the distribution, how you can
13 decompose, how you can relate the marginal costs
14 at the various levels (inaudible) at the fringes
15 of the distribution network with the location of
16 marginal price or the marginal cost at the
17 interface of transmission distribution. And this
18 is very instructive, very interesting to show.
19 Many people are talking about LMP+D, but the D
20 sometimes can be negative. It's not always
21 positive. All right so how do we decompose? How
22 do the additional costs of losses that are

1 substantial, how the additional costs of
2 transformer loss of life and so on during
3 different hours adapt to the locational
4 distribution marginal costs and how does this
5 relate to the marginal costs.

6 Anyway, so here are some real results
7 that we've obtained. So statistics of real
8 results that we have obtained by essentially doing
9 a computer study on an 800 BUS distribution
10 network. Where we look at these 800 BUSs and
11 calculate the marginal costs for real power,
12 reactive power and reserves, at each hour during
13 some typical day. So we've done a few typical
14 days. I'm showing you here, of course I can't
15 show 800 real power, reactive power and reserve
16 prices, but I'm showing you the maximum and the
17 minimum to make the point that the marginal cost
18 of real power, reactive power and reserves varies
19 by location very much, because you may have one
20 feeder that peaks at a different time than
21 another. Commercial feeders peak at totally
22 different times than, as compared to residential

1 feeders and both of them may peak at a different
2 time than the system peaks. Right, so you may
3 have a very high LMP margin cost at the interface
4 and a very low or a very high price in the same
5 hour at a different location.

6 So here is the maximum and the minimum.
7 Minimum is the blue, but you see here for real
8 power, marginal costs, the LMPs are showing, which
9 is the marginal cost of real power at the
10 substation at the interface of transmission
11 distribution, is the green and the red is the
12 maximum.

13 So you can see that at the same time,
14 right, that you can have a huge difference between
15 real power and LMP. And that's a little bit
16 doctored here, so that happens for example because
17 you have locations with a lot of (inaudible) that
18 are very close to the distribution station that
19 are trying to push, they can't because of voltage
20 constraints. The voltage is already quite high
21 close to the distribution station so their
22 marginal value is lower.

1 Here is the same thing for reactive
2 power. And for reactive power you can see that
3 the marginal cost can be quite different. So, if
4 you try to dispatch the distributed energy
5 resources that are capable of providing reactive
6 power, positive or negative, through the power by
7 putting into real use the power of electronics,
8 then if you distribute a constant price, you're
9 going to make things even worse. You can't just
10 do it because at different locations the need and
11 the value of reactive power is quite different.
12 In some cases, you know at some BUSs it becomes
13 negative. Which means it may be at special
14 locations. It may desirable to actually consume
15 reactive power in order to ease the voltage
16 constraints. So the voltage constraint -- that's
17 the case.

18 So the green again is the opportunity
19 cost of compensating for reactive power that
20 remains uncompensated all the way to the
21 substation. And you have the maximum and the
22 minimum. Here is the composition of distribution

1 location and marginal prices by components. So
2 you have the LMP component which is the blue and
3 it's quite a big component. However, the
4 additional components that have to do with losses
5 with transformer loss of life and voltage control
6 et cetera are different -- the same with reactive
7 power.

8 Here -- let me see, here is an example
9 of the locational issue, and I'll probably be
10 closing with that. So here are two BUSs BUS 689
11 and 619 at the same time. At one the upper
12 voltage constraint is binding. At the other one
13 it's not. Where the voltage constraint is binding
14 from above, you can see that the value, the
15 marginal cost of reactive power is negative, which
16 indicates what, which indicates that you should
17 consume reactive power. If you consume reactive
18 power, right, if you try to make the current lead
19 the voltage in order to compensate and bring down
20 the voltage constraint then you gain. And indeed,
21 the real power that is provided by this facility
22 is the same, but the reactive power is of opposite

1 sign. So the locational component is very
2 interesting. And here as I show the overall
3 results, and with this slide I want to make a
4 point that unless you do the calculation out at
5 the fringes, you can't achieve very much. So here
6 is the marginal cost. If everybody sees
7 essentially an average cost or a location of
8 marginal price, and the last column is what
9 happens if you are able to actually do the
10 calculation at the fringes, at each distribution
11 network. So you can't achieve very much because
12 you can't do voltage. You can't do reactive power
13 compensation unless you go all the way to the end.
14 With space conditioning for example, if you can
15 pre-heat or pre-cool looking at the LMPs you can
16 make some, you can have some gains, but you have
17 even more gains if you consider the actual
18 location of marginal prices. And with electric
19 vehicles for example, because of reserves and the
20 reactive power compensation, you may end up being
21 able to essentially charge for free. The
22 interesting thing is that distributed energy

1 source income, or the value you can see that it
2 increases and particularly when you, when you do
3 everything out at the fringes and also -- where
4 are we? Oh, the loads, which are the people who
5 do nothing. That's why utility commissions are
6 very much interested in not hurting. Right,
7 they're actually doing better. They do nothing,
8 but they benefit because the distributed energy
9 resources decrease the overall costs.

10 Okay. So, and that's something with
11 reserves. Again the reserves vary maximum and
12 minimum. This is what happens if you overdo it,
13 if you over invest the market for reactive power
14 kind of tanks, however, okay very difficult to
15 implement. Right, because you need a lot of
16 information and a lot of communication and so on.
17 There is, the only way to approach this is through
18 distributed clearing of markets and there's a
19 methodology for doing that. It requires
20 information. In principle it's cheap, but you
21 have to be very careful with information
22 architecture. You have to be very careful that

1 nobody goes and fiddles with this. And so the
2 coordinated distributor approach is technically
3 feasible, and I think it behooves us to actually
4 try to show this, to prove this and to also study
5 how the physical system kind of interacts with
6 the, so the market level virtual system where the
7 performance is important but the physics are not.
8 So the interface between the physical system and
9 the performance level of the system is very, very
10 important. So there are quite a few challenging
11 issues that can be approached and should be
12 investigated. Right, this an empirical kind of an
13 issue that could benefit from empirical
14 investigation but the theory is there, right, and
15 there is promise that it can be done. It's risky,
16 but it can be done. You know, so we have some
17 specific vision and methodology that could address
18 the major issues. Thank you.

19 PROFESSOR DIVAN: Thank you, Paul for giving
20 us an opportunity to come and talk out here. I'm
21 sorry I'm going to disappoint as a professor. I
22 don't have a single equation in my presentation.

1 But I'm going to talk about the physics of
2 networks because I think when we sit down and
3 conjure up math, we sometimes forget that it's a
4 physical network. And there's a lot of stuff
5 happening on the physical network that creates
6 volatility that doesn't really allow us to do all
7 the things we want to do sometimes. So that's
8 kind of what I'm going to talk about.

9 I've spent the last four years running a
10 start up in California. Some of the results we're
11 showing out here are really from data that we've
12 gathered from the field, you know, from there.

13 All right, so let's start with what we
14 all agree on. We all agree that the grid is
15 poised for some major dramatic change. I think
16 we've had enough discussion on that. Bill had a
17 very good session on that. We all know that the
18 world of scheduled generation is changing. And we
19 have significant growth occurring in a
20 non-schedulable distributed generation. We know
21 that we are really, you know, that's something for
22 the future, most utilities in the U.S are still

1 not encountering that and not spending a lot of
2 money on that. What they're spending money on is
3 being more efficient operationally in terms of
4 energy, in terms of economics. And that's where
5 all the money is going at this point in time. You
6 know we've seen enough cases of resiliency being
7 an issue and you know, and everybody is focused on
8 that and of course the threat of cyber security
9 issues looms very large.

10 The challenge we have of course is that
11 we have trillions of dollars invested in our
12 infrastructure. So even if you came up with the
13 best technical solution, it's not very clear that
14 we would have a very clear path to implementing
15 it. On the other hand, emerging markets might
16 provide some really interesting opportunities if
17 you want to do a re-visioning of what, you know,
18 transmission distribution and power delivery needs
19 to look like.

20 So what have we done as an industry and
21 as a community out here? You know smart grid is,
22 you know smart anything is better than non-smart

1 obviously. Right, so what our vision of smart
2 grid has been really is, you know we have, oh all
3 the control assets are good enough because those
4 are really tough, so let's not worry about them.
5 What we're going to do is we're going to bring in,
6 you know more data. So we're going to make our
7 assets smarter in terms of collecting, you know
8 AMI data, voltage current data, phasor data and
9 they're going to be very smart about massaging all
10 that and they're going to come out with how to
11 switch our devices better and how to manage
12 existing control assets better. Oh and by the
13 way, we're going to have this massive distributed
14 kind of deployment of hundreds of thousands and
15 millions of assets. So we've got to come up with
16 a better acronym to manage all those things and
17 that's the internet of things. Right? So, what the
18 internet of things is really doing is again
19 sensing communications, you know, and then we have
20 so much data, there's big data analytics going on
21 and there's predictive analytics. And they're
22 going to take all of that information and be

1 smarter about how we're going to manage our asset
2 fleet, you know, and our system so, I'm hoping
3 that we all agree this is kind of what the course
4 is that we've been following. And, the problem is
5 that as we kind of look at the data that's coming
6 from the field, we're starting to see some really
7 big gaps beginning to emerge out here.

8 So I'm going to walk you through some of
9 the data out here, if I can figure out how to
10 operate this. So this is real data, voltage data.
11 We had some discussion on voltage volatility and
12 the fact that you need to know what the end
13 customer voltage is. So, this is data from a
14 feeder in Southern Company territory out in
15 Georgia, and it's really showing, do any four
16 nodes in a particular phase, you know from the
17 substation you're going down, it's a 5 megawatt,
18 12 mile feeder and you're seeing the time of day
19 varying out here. It doesn't even have solar on
20 it, okay. And what you're beginning to see is
21 something that doesn't track with the model that
22 every utility uses to predict what the voltage

1 profile is. You know, our understanding of
2 voltage profile is, it starts high at the
3 substation and then goes down and there's a
4 capacitor in between or something, and that's all
5 kind of on the medium voltage side. This is
6 really low voltage. This is the secondary side,
7 and you can see that the low voltage point doesn't
8 necessarily occur at the end of the feeders, it
9 occurs sometime and then it doesn't occur
10 sometime. It's varying all over the place, so you
11 know, well the utilities say, "Well that's vendor
12 data," so we don't believe it, right. So let's
13 take a look at some AMI data, okay. So there's
14 data out there from 5,446 AMI meters, very typical
15 feeder, not a high amount of solar on it and the
16 voltage was varying by 21 volts out there. Okay,
17 over 30 days, and we are seeing, you know, when we
18 talk to the utility they'll say, yeah you know one
19 or two of our feeders might be bad and then on a
20 particular feeder maybe 1 or 2 percent of the
21 nodes might be kind of problematic nodes because
22 the transformer is overloaded, a customer is not

1 well-behaved or whatever. Okay. What we are
2 seeing is 15 to 20 of the nodes out here we're
3 seeing sustained under voltages for extended
4 periods of time. And the utility says, we don't
5 believe the data. Oh, I'm sorry it's your data.
6 It's not our data so you know. And we started to
7 see more and more of this kind of thing. So the
8 gaps are becoming really very, very visible. You
9 know, the first thing is secondary voltage
10 volatility. You know we've never anticipated this
11 okay. We're seeing sustained violations that are
12 not explained by current models. You know, if you
13 have the SIME model, which goes all up here in
14 substation, all the way down to the primaries of
15 the transformer, okay well, the gaps we are seeing
16 are across the transformer that are not fully
17 explained by all the models that we have right
18 now. The second thing is you know, we want to
19 control everything with one central control lever
20 because that whole model of centralized command
21 and control. Well look at this, if I have one
22 lever, I just move the whole mess up and down. I

1 don't really solve the specific problems that need
2 to be solved because I need different control
3 action at different control points at different
4 times. We don't have the technology or the tools
5 to give you that.

6 Then, we want to go and measure AMI
7 every five minutes okay, but our capacitor banks
8 read three times a day. Isn't there a disconnect
9 between the two? So you really need to have
10 dynamic control, so slow centralized control
11 doesn't really do it okay. And so that's the
12 other thing. So well we say smart again. Smart
13 inverters are going to solve the world's problems
14 correct? Because they are smart. Well, not
15 really. Because what happens is now when you
16 take, you know a thousand inverters and put them
17 on a feeder and all have to do exactly the same
18 thing, you know, maintain the voltage at a precise
19 point. Well, they fight each other, okay.
20 Distributor controllers interact and dynamic
21 distributor controllers interact a lot. And so
22 what happens is, you know, you end up trying to do

1 things out here to kind of make this whole thing
2 work in some way. And what we've kind of found
3 out is that you really need to have local
4 autonomous control. There is no way for a utility
5 to sit at a substation and say, this inverter
6 needs to provide so many VARs at this point in
7 time. It just cannot be done. And so there is a
8 whole new way of looking at this that is possible
9 and oh, by the way, I haven't even mentioned solar
10 yet. Distributed energy is really the main
11 discussion item out here and it makes everything
12 worse, okay.

13 We've talked a little bit about, you
14 know, when power is flowing backwards, you know,
15 the voltage in the center of the BUS goes up, you
16 know. And then, you know, you don't have much
17 margin to kind of move. What we actually see is
18 that voltage violations are a primary limit for
19 how much solar it can put on the system. But even
20 more than that, so when we talk to utilities the
21 U.S has said, 95 percent of utilities are not
22 making investments in solar today, but they're all

1 spending money on volt/var controller and volt/var
2 benefits okay. And what we are seeing that as
3 solar comes in, because the solar inverters are
4 not bothered about the grid ecosystem but only by
5 selling more inverters. What ends up happening is
6 they just want compliance, so they want to use the
7 entire voltage band just to be able to operate
8 their inverters and so all the investments that
9 you made in terms of volt/var control are suddenly
10 out the door. You've got stranded assets out
11 there. This is not a discussion I'm seeing that's
12 happening a lot, and yet we are moving at 90 miles
13 an hour on various fronts to deploy all these
14 various technologies.

15 So what's the impact of grid edge
16 volatility? So we are seeing out here that there
17 is a high amount of volatility, and it has
18 significant impact. So what does it really do?
19 So you know, the fact that you have voltage
20 varying all over the place means you can't really
21 control it precisely. You can't move it, move it
22 around and utilities have been spending money on

1 grid side demand management, this important tool
2 okay. We are worried about energy conservation
3 and CVR and if you've been using the distribution
4 grid as a resource to do that, you suddenly don't
5 have the ability to realize those benefits, okay.

6 We've heard a lot of discussion about
7 technical loss and we see that loss of voltage
8 because the reactive power drops is a major
9 contributor to revenue lost for utilities as well.
10 So that's a technical loss element out there.
11 Okay so that can be improved if you can get better
12 control okay. You really want to be able to host
13 high levels of PV and distributed energy on the
14 grid. And we see that the lack of grid edge
15 control really impacts that.

16 We talked about micro grids a lot.
17 Every time a micro grid has to be put on the
18 system, the utility has to go back and do a
19 recalculation of whether relays are invading or
20 whether VAR currents are being managed properly or
21 not. That's major, major you know cost and it
22 really limits the amount of micro grids that can

1 be deployed. But there may be a different way of
2 looking at how this can all be done. You know
3 DERMS is another thing that maybe if you can't
4 predict how much solar you can put it in at a
5 certain point in time, what good is the DERMS
6 package? We really need to have more
7 predictability.

8 So the fact is that if you could manage
9 your system properly, you would then be able to
10 use your distribution grid as a predictable,
11 dispatchable, dynamic virtual resource. And now
12 you start seeing a lot of value that comes out of
13 it. I'm going to show you some examples that
14 shows that this actually can be done.

15 So we are really moving towards a new
16 paradigm and I'm going to call that distributor
17 control. It could be called grid edge control.
18 Our paradigm today is scheduled generation,
19 centralized top down control, planning bays,
20 dispatch inter-directional flows, redundancy and
21 manifest contingencies. All these things have
22 been covered in the discussions that we've had

1 here to some extent or the other. And what we are
2 moving towards is distributor control where it's
3 nondispatchable variable, you know we call it edge
4 up real time control. You want flexible, secure,
5 predictable and look at what happens. If I can
6 put the right level of control, this is real data,
7 and I'm going to show you exactly how you end up
8 getting that.

9 So we are moving from a world which is
10 simple, scheduled and slow, very predictable, very
11 boring, everything is good. And we want to move
12 to a world that's complex and everybody is moving
13 energy in every direction and everything,
14 everybody wants to do everything right. And how
15 do you do that? You can't go and rip this
16 infrastructure out and put something brand new in
17 out there, so what you have to do really is, you
18 know kind of overly on this, and augment the
19 performance of the existing system using grid edge
20 elements like sensing, dynamic control, PV, wind,
21 you know mobile energy. All of these elements sit
22 in there and they work autonomously. They

1 communicate to the central to get coordination at
2 a system level and then they communicate back with
3 system controls to give you the kind of
4 performance that we are talking about.

5 An example of this is right here. So
6 this is an example from, that Southern company
7 feeder we talked about. Same feeder, I've shown
8 you this thing with top down control. And what we
9 have really is, we have this grid edge devices,
10 these are VAR controllers, 0-10k VAR, really small
11 devices. They sit on the pole, and they connect
12 on the secondary side and they figure out locally
13 just by looking at local voltage, what VAR
14 injection they need to do at a given point in time
15 to manage the volatility that is there at that
16 point. And you see that here's the VAR injection
17 that's taking place and there is no way you can
18 figure this out. I have no idea, you know what
19 the individual unit is doing. It's completely
20 autonomous in terms of what it's doing and the
21 result is (inaudible). Yeah, so what you end up
22 with is you have all these things that you want to

1 do in terms of grid edge control that we have now
2 been able to do. And once you've been able to do
3 that, you are able to enable a lot of the value
4 that we're talking about. When I can move that
5 fold, that flat foldage up and down, I essentially
6 get demand control. So you know you can plus,
7 minus 5 percent demand control without ever moving
8 outside the anti-band. Okay, in some cases it can
9 be even higher than that because utilities
10 typically operate above that. You know, we have
11 seen a significant reduction in technical losses
12 and related loss to revenue. We've shown that it
13 can advocate feeders and use it as a demand
14 resource. And we've shown that you can increase
15 PV hosting dramatically okay, because you're able
16 to absorb all these issues you know locally,
17 you're able to -- we've shown simulations with 100
18 percent solar loading and it works fine. In the
19 field we've seen tremendous impact that this can
20 actually happen.

21 So what are the recommendations out
22 here? You know this kind of last light? We like

1 to think of the grid as an artifact. I think of
2 the grid as an ecosystem. Okay everything is
3 coupled, everything needs to support each other.
4 You know, and you have a little bit of give and
5 take and you know your body temperature is never
6 exactly 98.4 degrees. And when things are high,
7 things are working a little differently, when
8 things are low, things are working a little
9 differently. That's the same kind of thing that,
10 that you need to have out here. So incentives to
11 make grid connected assets really inherently grid
12 supporting and I think you know if you can do
13 that, that helps a lot. The grid assets should
14 really have distributor real time control
15 capability. I mean most the things I am talking
16 about here -- I could see many instances of that
17 being kind of reflected in what the grid
18 modernization team is actually working on and that
19 Bill was really talking about. You know when you
20 have distributor control, we don't have the
21 simulation tools that are there to be able to show
22 what the system actually does. So there's a whole

1 kind of layer of activity that is required to be
2 able to understand how to use distributor elements
3 in massive numbers.

4 How do they interact with each other? I
5 mean, I don't know right now that I can guarantee
6 stability when you have a million of these devices
7 and what happens when you have a big system level
8 fault on some site. But it needs to be kind of
9 proven, it needs to you know worked on. You know
10 and finally I think if you can make the
11 distribution grid itself a resource, then the
12 markets can really be enabled once you are at that
13 point. It can become very, very predictable. So
14 overall, that's what I want to say, thank you very
15 much.

16 MS. SANDERS: Wow, that was some serious
17 energy. My three-hour time zone change may not
18 lend itself to that level, but we'll see. And
19 being the fourth speaker there's not much more to
20 say, I'm sure you're all very clear on how we
21 value DERs and what the value of DERs to our
22 electric system is, so I'm just going to be done.

1 So just putting this DER valuation in
2 context in California, a lot of you know this
3 already, it's great to be in California. We have
4 lots of opportunities to do lots of things, and we
5 have to figure it out very quickly. So AB327
6 required all utilities to submit what was known as
7 a distribution resource plan by last July, which
8 we did. Part of this included doing many things,
9 but in integrated capacity analysis which looked
10 at the current system and said this is how much
11 you can install with no upgrades. And then also
12 do a locational net benefit analysis that gives us
13 an indication of where DERs are more or less
14 valuable on the system. We said sure, piece of
15 cake.

16 So if you look on the left hand side of
17 this, the guidance given by our Public Utilities
18 Commission included a number of values that DERs
19 could provide. Energy losses, generation
20 capacity, ancillary services, transmission
21 capacity, distribution capacity, environment,
22 avoided renewable portfolio standard energy

1 requirement. I was going to say RPS but I thought
2 I would spell it out. And then additional
3 components which just could be anything.

4 So you start to think about that and the
5 first thing is, can all of this happen at once?
6 And the answer is no. If you are going to be a
7 transmission asset and provide an ancillary
8 service, and you are going to be activated for
9 contingency, guess what, you need to be there when
10 that happens and you don't know when it's going to
11 happen. I'll tell you, moving from transmission
12 to distribution has been very enlightening.
13 Transmission is awesome. You can forecast; you
14 can plan; you can see it. Distribution is crazy.
15 It's crazy out there. I went out there with a
16 troubleman because I wanted to see how crazy it
17 was, and oh my gosh, and when we've got three
18 phase, single phase radial, we've got stuff
19 underground. We've got lines for miles. It's
20 amazing. So when you talk about this value, it
21 depends. So we have worked on this, and we
22 offered up in our DRP, you know how you can value

1 this and since I'm in electric system planning I
2 want to really focus on the value from the
3 distribution perspective.

4 The first thing that has to be examined
5 is our process for distribution planning. So Bill
6 talked a lot about forecasting. I have to say
7 that's probably the most, or one of the most
8 important things we need to do better. It needs
9 to be more granular in location and it needs to be
10 more granular in time. Because it matters where
11 you put these DERs and how they function, we need
12 to do that a lot better. We need to be able to
13 not only do it for load but we also need to be
14 able to do it for every resource type that's down
15 there and we need to do it pretty well. Because
16 that planning assumption drives everything else.
17 It drives what we build. It drives how we
18 operate. It drives everything else. So without
19 that forecast being pretty, pretty accurate -- so
20 in transmission we can have good forecasting
21 accuracy. I never thought it was that good, but
22 it kind of evens out at the end and you can build

1 pretty well.

2 One of the challenges we have even now,
3 before all the DERs were out there, is we do a
4 distribution plan every year, for load growth,
5 every year. So we forecast for our different
6 regions, we have 4 regions and 32 districts and we
7 do very granular forecasting right now for that
8 peak. That distribution resource plan results in,
9 it's about 1,900 pages, it's very exciting reading
10 and hundreds and hundreds of distribution
11 projects, hundreds.

12 We do the same thing and guess what?
13 Many of the things we forecasted out as a need in
14 ten years go away. Or they come in five years.
15 So that's because not only are the forecasts not
16 accurate to begin with, but people did different
17 things. Stuff happened. Businesses moved in,
18 businesses moved out, stuff happened.
19 Distribution planning is an art more than a
20 science.

21 And so this is one of the things I want
22 to really think about when we're talking about

1 assigning a value to these. So we do a forecast,
2 we determine a need. Then we go through a
3 screening process. So one of the things at Edison
4 that we believe makes sense and want to, you know,
5 get moving in the Commission is this notion of a
6 screening or a deferral framework. We have
7 hundreds of projects. Some of these things you
8 just need to build. Because they make sense,
9 they're short term, you know, they're -- you just
10 need to build them. Hundreds and hundreds of
11 projects shouldn't be litigated in front of the
12 PUC to be replaced with DER.

13 So right now we are suggesting a very
14 loose screen so most everything falls through.
15 And those projects get an opportunity. This is
16 the first place where valuing DER matters. So
17 right here you need to think about what would it
18 cost us to build that infrastructure as a
19 baseline? Now, those methods are done usually
20 through a voided cost calculator and there's all
21 these spreadsheets and all of this. But at this
22 point it's really more benchmark to compare to

1 your DER solution.

2 One of the other things that's really
3 dangerous is publishing that number. Because
4 guess what? Your DER solutions are going to cost
5 you that much. Even if it doesn't cost that much
6 to build them. So we're stuck in this time where
7 there's all this opportunity for technology to
8 come in and solve the problem. They want to
9 maximize the money they can get. So, okay,
10 utility, tell us what it costs you not to build
11 it, and we'll take all that money. And we're
12 saying, well, but if you can do it cheaper, you
13 know, why don't you and then we return that value
14 to the customer. That's what we're saying.

15 So you get these projects that fall out
16 of this screening framework. Then you determine
17 the operational requirements, and then the
18 attributes that these DER's need to have in order
19 to replace this infrastructure solution.

20 One of the other things that we need is
21 an equivalence study or an equivalence discussion
22 and pilot. What I mean by that is, if we're going

1 to build infrastructure or we're getting a project
2 that comes -- tell me if I need to yield the floor
3 to more important individuals.

4 CHAIRMAN COWART: You're doing fine.

5 MS. SANDERS: Okay.

6 CHAIRMAN COWART: Keep going.

7 MS. SANDERS: So when we think about
8 replacing infrastructure with a DER, those
9 solutions are not equivalent. They're just not.
10 They're different. DERs can provide you more
11 operational flexibility than a capacitor bank.
12 You know, you said they operate three times a day.
13 Well, I had to phone a friend. That's what I love
14 about text messaging. So I phoned a friend.
15 Apparently ours switch twice a day, but we will
16 allow them to switch up to eight times a day. But
17 otherwise, you just decrease their life so much.
18 So we only switch those just a few times a day.
19 So DER's can bring you more operational
20 flexibility.

21 But the other problem is, is are they
22 available when you need them? Are they

1 dependable? Do they perform how you need them to?
2 And are they durable? Are they always going to be
3 there? When we put an asset out there, if we put
4 a piece of infrastructure out there, we know it's
5 always available because that's what it was put
6 there for. We know that it's dependable. We have
7 characteristics even if we don't actually believe
8 the vendor data. We operate them. We know how
9 they generally work. And then they're there for
10 their life.

11 So one of the things I think is really
12 needed is to say, here's a list of traditional
13 infrastructure upgrades. Whether it's anything
14 from building a substation to upgrading
15 transformers to reconductoring to adding circuits,
16 whatever it is, I would like to understand what
17 DER or combination of DERs could do that too, and
18 what do you get and what don't you get with that?
19 And then foundationally, how do you realize it?
20 So this is the next piece is to then pilot that
21 equivalence and make sure it actually does what we
22 expected it to do.

1 The last step of this from our
2 perspective really gets down to that other valuing
3 of DER. So what we don't do and what we don't
4 spend on infrastructure isn't what you pay for.
5 What you do is you go out and you get competitive
6 solicitations to do price discovery. We have had
7 great success in two of our RFPs. One, our local
8 capacity resource RFP where we procured a lot of
9 storage, and one in our preferred resource pilot.
10 So we're seeing the technology, we're seeing it be
11 competitive, and we believe that's the best way to
12 value this, what you pay for it.

13 So these are the process as we see it
14 evolving. Now just as an illustration, we do
15 planning right now, and this was a need that was
16 identified in our Merced area for -- a need for
17 five MBA. So first thing you do in planning is
18 you see if you can shift it somewhere else. So
19 this is what we do. We look at all of our
20 associations around there and all our circuits and
21 see if we can permanently move it somewhere else.

22 And in this case, if there's enough

1 there, we move it someplace else. Now, we're able
2 then to have that loading relief. Now let's say
3 that we want to satisfy that with DERs. Now
4 because of their operation and so forth, it may
5 not be five, it may be more. So we just need to
6 think about locationally wherever those show up,
7 they may need to be more or less. And this is why
8 I think it's important when we do this discussion
9 about, you know, what's an equivalent solution.
10 We put in all the "it depends". So if I put DERs,
11 you know, at the end of a line versus I put them
12 in the load center, they can do different things
13 and they can offset a different infrastructure.

14 I said this before on the other side
15 about the competitive procurement. It's really
16 the value of them is to compare the total cost of
17 the solution, so that benchmark that we as the
18 utility would have spent. So historically, we can
19 give a range for what it costs to build a
20 substation or what it costs to build a new
21 circuit. And it's going to depend. We've got
22 some pretty crazy terrain in California. We've

1 got some awesome environmental licensing
2 requirements. So they cost different depending on
3 -- it depends -- where they are, how long they
4 are, et cetera. But there's a range of that value
5 that can go out there that can then be compared
6 with the DER competitive solution. And that
7 determines the value.

8 So we really underscore at that point
9 then is you've got to be able to realize this
10 value. We have this automagical leap that we're
11 making right now in the discussion of DERs can
12 replace infrastructure. And we heard it here and
13 we saw it on a slide. If you dispatch demand
14 response and energy storage and other DERs, they
15 can do this. They can. But I haven't seen it
16 work yet.

17 And the other thing that's important is
18 grid investment is still needed. Even if we don't
19 build the infrastructure, we've got to be able to
20 monitor these things.

21 On my right, along with the troubleman,
22 who was talking about a situation where we need to

1 switch -- we switch every day, thousands of times
2 a year. So when I say we switch, we're basically
3 transferring load onto different circuits whether
4 it's for maintenance or car hit pole. Car hit
5 pole almost every day, and Mylar balloons get
6 trapped in lines or substations almost every day.
7 So we perform switching operations all the time.
8 So your topology of your network is continuously
9 changing.

10 So I was out with this troubleman and
11 he is talking to me, because I'm trying to really
12 understand what this means, so I'm out there and
13 he's telling me, "Well, yeah, I had to switch this
14 load to a different circuit. It was reading 200
15 amps. I got this other one, 200 amps, it's good
16 for 450. I'm just going to shift it over there."
17 As soon as he performed the switching, this one
18 overloaded and tripped out. Why? Because there's
19 really 350 amps on here and a lot of it was being
20 served by solar. When that switched, it didn't
21 take the generation with it. So they didn't know
22 because we didn't have the monitoring, we didn't

1 have the analytics to let them know what was going
2 on. And we didn't then have any sort of ability
3 for him to be able to make that operation and not
4 drop more load. So there are some real examples
5 out there of, you know, just operationally what
6 you need to be able to do.

7 So one last thing is the -- our
8 distribution resource plan is riveting. I
9 recommend reading all 500 pages. It's awesome.
10 Carl's read it at least three times. But what I
11 really do encourage you to do is look at our
12 distributed energy resource interconnection map.
13 And when you open it up, you're going to see every
14 single circuit. We have 4600 circuits in Edison
15 territory. You're going to see every single
16 circuit. And it's going to show how much
17 integration capacity is on that circuit now from a
18 generation perspective, so a supply perspective,
19 and from a load perspective. And so, you know, if
20 you know anyone there, you can follow their
21 circuit along. My particular circuit can take 3.5
22 megawatts of solar. But only .87 megawatts of

1 load.

2 So this is where we're needing to go in
3 the future. We need this visibility, we need the
4 monitoring, we need the control, we need this
5 investment. But most importantly, where we are
6 now, is we need the messaging. We need to really
7 know and believe that DERs can replace
8 infrastructure. We as engineers need to believe
9 it. We as troublemen need to believe it. And
10 then we get policies that actually make the right
11 outcome happen.

12 So thank you so much for your time.

13 CHAIRMAN COWART: I have to say, those
14 presentations were awesome. You have really got
15 me going. And I'm going to apologize because I
16 know that the members of the Committee would love
17 to follow on immediately with you with Q and A.
18 But we have the honor of having with us
19 Commissioner LaFleur, who stepped out just
20 temporarily because of the fact that some matters
21 were being touched on that we're involved in
22 pending proceedings. But she's right outside and

1 will come right back in to join us.

2 So what we're going to do is hear from
3 the commissioner, and then we will have a robust
4 discussion period on the topics that this panel
5 has touched on. So I want to encourage members to
6 write down your questions and remember what it is
7 you want to ask these people. And in particular I
8 want to ask Professor Caramanis to bring the
9 printouts of those slides he skipped over so that
10 we can discuss them over drinks, you know, as
11 we're having dinner.

12 Commissioner LaFleur, would you like to
13 sit here? You can have this chair or you can
14 stand at the lectern. Okay. No, that's fine.

15 COMMISSIONER LAFLEUR: Thank you.

16 CHAIRMAN COWART: As just about all the
17 members of this Committee know, Cheryl LaFleur has
18 been a sort of a de facto member of this Committee
19 for quite some time. And she's been -- she has
20 visited with us on numerous occasions and spent a
21 fair amount of time in this room with us. And we
22 have the honor now of having her back as a

1 presenter. And I will tell you that we -- this
2 won't surprise you, that she very politely asked
3 us what it is that we want her to talk about, and
4 we very politely answered by saying,
5 "Commissioner, what do you want to talk about?
6 And I think that you know very well what topics
7 interest the Committee." And we gave her free
8 rein to come and speak with us about the issues of
9 concern to her that also she figured would be of
10 interest to us.

11 So I'm just going to turn it over to
12 Commissioner LaFleur.

13 COMMISSIONER LAFLEUR: Thank you very much,
14 Richard. I'm happy to be back with the group. I
15 had been sort of liaison to this group for a
16 couple years and then didn't come as much during
17 the period of time I was chairman, sent
18 representatives, and I'm really happy to be back.
19 And I've never had a higher honor than to be
20 called Sonny Popowsky, the father of the hybrid
21 cost allocation in PJM.

22 I have with me, somewhere, Andy

1 Weinstein from my office, who is one of my -- I'm
2 sure all of you people who work closely with FERC
3 each commissioner has three advisors, and in my
4 office Andy does ISO New England, New York ISO,
5 gas LNG certificates, and some rates as well as
6 enforcement. So that's quite a lot.

7 I also just want to explain that the
8 reason I'm wearing a T-shirt is I had a Bloomberg
9 interview a couple weeks ago and they were asking
10 me about wearing New England and Boston sports
11 clothing to open meeting. And I said I had never
12 worn Celtics stuff, but I realized because it was
13 St. Patrick's Day. To the best of my memory, the
14 first open meeting on St. Patrick's Day since I've
15 been at the Commission, I think that makes sense
16 because I haven't been there seven years, so I
17 thought this was a good time to remedy that.

18 What I'm going to do is just kind of do
19 a snapshot of some of the things that are -- or an
20 overview of some of the things that we're working
21 on at the Commission with respect to electricity,
22 hopefully to tee up questions or at least sort of

1 highlight areas that might be of interest.

2 I almost never bring any charts for all
3 kinds of reasons, mostly that I never have time to
4 do them and time for when they're due. But also
5 because then you get into all kinds of torments of
6 what you put on the charts and whether it's ex
7 parte and how detailed. But this morning at open
8 meeting the Division of Energy Market Oversight
9 did their annual state of the markets. And it's
10 really I think quite a good overview that gives
11 some evidentiary support to a lot of the things
12 I'm saying. So for that reason I'll pass it out.
13 Of course it's also on the FERC website. So if
14 you don't want to carry it on the plane, it's a
15 public document, just junk it anywhere, but here
16 it is in the meantime. I've been many times
17 having carrying like draft orders and, you know,
18 wondering if I can possibly put them in like the
19 ladies' room, the bathroom trash of an airport,
20 being too afraid. But these are public, so you
21 don't have to worry about any of that.

22 Okay. Of course anyone who's heard

1 anyone speak, I speak only for myself, not for the
2 Commission. I will try very hard not to discuss
3 pending adjudicated cases, and that's why Andy and
4 I walked out. I walked in, I was doing my email,
5 everything was delightful. I looked up and
6 realized they were talking about DERP in
7 California, which has been pending before the
8 Commission for a couple weeks, and thought, "Oh,
9 they're talking about DERP." And so I belatedly
10 walked out.

11 It's no surprise to anyone in this group
12 that follows energy so closely that a lot of the
13 work at the Commission right now, just like a lot
14 of the work at the state levels, is really being
15 driven by changes in the energy resource mix
16 across the nation. You know, driven really by the
17 great abundance and affordability -- some would
18 say too much affordability -- of domestic natural
19 gas, the growth of renewables and demand site
20 technologies, all kinds of new technologies,
21 powered by state and federal and tax policy, as
22 well as new environmental regulations. The clean

1 power plan is on hold, but (inaudible). Many
2 other environmental rules that are leading to a
3 lot of turnover in the fleet are very much in
4 play. And that transformation is really driving a
5 lot of our work on the market side as well as on
6 the infrastructure side of our work.

7 Starting with the markets, just a couple
8 points to make. The first is that despite all the
9 challenges that market seemingly perennially face,
10 they continue to grow. I was at Harvard
11 Electricity Policy Group a couple of years ago and
12 got into a little bit of a tussle with Bill Hogan,
13 which is really not something you ever want to do,
14 about whether markets were growing. And he said,
15 "Well, they're just growing along the edges,
16 they're not growing organically." Well, whatever
17 that means. But I would say now they really are
18 over the last few years growing. Because the Mid-
19 Continent ISO, which used to be called the Midwest
20 ISO, almost doubled its size by adding all the
21 southern states, Mississippi, Louisiana, Texas,
22 and part of Arkansas with Entergy and all their

1 appendages. And more recently, last year, the
2 Southwest Power Pool added parts of six states
3 going all the way up into the Dakotas with the
4 integrated system, including the first time a
5 federal power marketing administration joined a
6 market, which I thought was highly significant.
7 We had to tie ourselves a little bit in knots on
8 the cost allocation with how we were going to pay
9 for transmission to accommodate a federal PMA that
10 is not under FERC jurisdiction. But SPP brought
11 us a proposal we could approve, and now the
12 Western Area Power Administration, a big piece of
13 it is now in a market creating energy in the
14 market, planning transmission with the market for
15 the first time.

16 And of course biggest of all are the
17 changes that are going on in the west with -- I'm
18 going to actually put on my glasses for this -- so
19 far two companies, both part of Berkshire
20 Hathaway, PacifiCorp and Nevada Energy, have
21 joined the California ISO energy and balance
22 market, representing 3.1 million customers across

1 six states. And they've already saved nearly \$50
2 million in the first 13 months of operation just
3 by balancing the wealth of renewable resources and
4 other resources out there around a bigger platform
5 spanning time zones, different diversity of
6 resources, diversity of loads, and just tremendous
7 more potential savings for customers to reap.

8 Since that time, four more companies,
9 Arizona Public Service, Puget Sound, Portland
10 General, and Idaho Power, have either announced
11 that they're planning to joint or they are
12 pursuing joining. And then rumors continue to
13 abound of more companies out west that are looking
14 into this, potentially adding another 3.5 million
15 customers. Should this come about, this would
16 really bring a market to the west that was planned
17 before the California energy crisis and kind of
18 got derailed. And that's the part of the country
19 that really has just abundant renewable resources,
20 long stability balance lines, and lots of
21 potential for working together. So we're working
22 on that, trying to work through the cases

1 carefully, trying to learn from the lessons as one
2 joints for the next one, and really looking at a
3 lot of potential benefits.

4 Then that was barely taken on board when
5 PacifiCorp took the next step and announced they
6 were exploring joining the California ISO actually
7 as a participating transmission owner. Not just
8 the imbalance market, but really jumping all the
9 way in and becoming part of the market. And as
10 most of you probably know, last year the
11 California legislature passed a law asking the
12 California ISO and others to come back with a
13 proposal for how they would change governance to
14 make the California ISO a multi-state ISO.
15 Because it's very much a California governance
16 organization with the board members appointed by
17 the governor. Now they face potentially an
18 independent board, a multi-state organization with
19 some sort of an advisory Committee like a lot of
20 the other ISOs have. Really looking as a model to
21 the Midwestern ISOs that have vertically
22 integrated companies underneath and state resource

1 adequacy programs, but markets manage at a
2 wholesale level. And PacifiCorp and California
3 ISO are well on their way to exploring that, and
4 we are trying to I always say send them positive
5 vibes without making it a FERC project. Because I
6 think the more it looks like it's coming from
7 Washington, the more it'll look less like it's
8 coming organically from the region. But that
9 could potentially really change how things are
10 done in the west.

11 So while markets are growing, I mean if
12 that all comes about, it'll really be the
13 southeast that's the last bastion of fully
14 vertically integrated. But even there
15 transmission planning is starting to be done
16 regionally. And, you know, we're just seeing more
17 regional cooperation everywhere.

18 So that's great, markets are growing.
19 At the same time, I think it's no secret to anyone
20 who lives in them, I'm looking at Gordon and
21 others around the room that the markets are being
22 stress tested right now. We're in a fundamentally

1 different time than when the markets started, you
2 know, 20 years ago or so when everyone was long on
3 resources. They were pulling the efficiencies out
4 of the markets. You know, had very high reserve
5 margins, figuring out a way to run things more
6 efficiently over a big geographic platform. Now,
7 for all kinds of reasons, the low gas prices, the
8 environmental requirements, natural aging of the
9 fleet, we're seeing a tremendous amount of
10 retirement really everywhere, certainly in the
11 eastern markets, meaning that the capacity markets
12 are doing their job and calling for new resources
13 with high prices. Harder to support markets when
14 they're costing more than when they're costing
15 less. And the markets are really being tested to
16 make sure that they can attract the resources,
17 that this idea that you don't need an obligation
18 to serve and you can use a market to bring in
19 resources to serve customers. It's really on the
20 firing line right now to make sure it really
21 works. And, you know, we've seen a lot of
22 capacity be offered into the PJM and ISO New

1 England capacity markets in the last couple cycles
2 and really looking closely at those as that comes
3 about.

4 I was going to say something else and I
5 lost my train of thought.

6 What we've seen is that as we're in a
7 period of an investment cycle, we've seen a lot of
8 the RTO's look at their markets and make sure
9 they're properly defining the product that they're
10 buying and made some changes in first ISO New
11 England and then PJM. That really changed the
12 definition of the product they were buying to have
13 higher performance requirements and make sure they
14 were fully compensating the reliability value of
15 the base load and other things that you could
16 count on when you needed them. That was -- that's
17 a pretty fundamental change, I think, to the
18 capacity markets, and we're just seeing those run
19 for the first time in a full year. And that's a
20 pretty significant change that we're now seeing go
21 forward.

22 On the energy markets, FERC has been

1 working for a while on a so-called price formation
2 effort, really to look across all the things it
3 takes to keep the lights on and to make sure that
4 as much as possible those are included in the
5 wholesale energy price, the marginal price, rather
6 than paid out the backdoor in uplift or special
7 out-of-market operator actions or any other way to
8 make sure that the energy market price that people
9 look for an investment signal, that people look
10 for to decide how to use energy properly sets what
11 it costs to keep the lights on. We've taken some
12 steps over the last several months, and right now
13 we had required the six RTO's that we regulate to
14 come in with a host of homework on what they're
15 doing on different issues. Those are out for
16 comment right now, I believe, and we'll be looking
17 at next steps to try to work on uplift and some of
18 the other aspects of price formation. What we
19 found when we really peeled the onion and started
20 looking at it was that this wasn't something where
21 you could put out a simple rule and say, "Do it
22 this way everywhere." It was very much tied to

1 how different markets were designed, and we really
2 had to get into it, you know, in order to start
3 really making rules. But it's something we're
4 committed to, came up again at open meeting today.
5 It's going to be a major effort over the next
6 several months.

7 Another thing to mention about the
8 markets kind of relates to all of what I've said
9 so far, is that as we see the resource mix
10 changing -- and this is teed up a little bit in
11 the charts that I handed out -- is we're really
12 starting to think hard, and the markets, the
13 RTO's, the market operators, are starting to think
14 hard, and NERC and others, on what are the
15 products, what are the increments that we need to
16 really keep the lights on? I mean I say when I
17 was young and first in the business, you just
18 bought electricity. Maybe if you were really
19 getting creative you thought of capacity and
20 energy. That was about as much. I at least never
21 talked about Black Start and reactive power. I knew
22 there was a thing called reactive power. The thought

1 that it would be compensated separately was just
2 not something I could even get my head around.
3 But now, as a lot of the spinning base load, you
4 know, the synchronous motors are coming offline or
5 being used a lot less often or being turned from
6 base load into cycling, and all of the above, and
7 we have a lot more of the energy coming from
8 renewable resources that are not synchronous, that
9 are not controlled by a man or a woman setting a
10 switch but are controlled by the availability of
11 the resource. We're seeing the need -- really
12 thinking hard about the need for frequency
13 regulation, frequency response, voltage support,
14 Black Start, ride through, ramping. Something
15 they're doing a lot of work on in California.

16 And if you look out at a market and say,
17 "Gee, if our resource mix changes from A to B, we
18 might need more of this increment." There's two
19 ways to get it. One is to say, "Well, gee, maybe
20 we'll just go order people to go buy that." But
21 if you're really committed to a market, the more
22 honest way to do it is to say, "Well, define what

1 it is we need and see if we can use a market to
2 price it and we'll see how that works." And we're
3 seeing that more and more. We've put out several
4 orders in the last several months looking at how
5 to get primary frequency, primary frequency
6 response and other increments that the market
7 needs to see if we can price those as ancillary
8 services going forward.

9 This is not in a particularly logical
10 order, but it seems like the right time. Rich
11 asked me to mention Order 745, Demand Response.
12 That was an example of defining a capability. In
13 that case, the capability to ramp up and down at
14 peak to keep the lights on, to ramp the power up
15 and down in a way that was economic for customers
16 through, in this case, the use of demand response
17 to reduce the load when it was most expensive.
18 I'm sure folks know that several months ago the
19 Supreme Court reversed the DC Circuit and upheld
20 the Commission's Order 745 from 2011 that required
21 RTO's to compensate demand response in a way that
22 we thought was fair, similar to generation.

1 Because unlike the clean power plan, Order 745 had
2 never been stayed, on the service nothing changes.

3 I tend to think that the cloud of the
4 judicial review had some effect on the demand
5 response market and we'll see how it develops
6 going forward. But that's an example of defining
7 a capability, I know it was controversial one, but
8 it's an example of a way to define what we need
9 and let the market value it.

10 Looking ahead as, I'm really unsure
11 because I don't have a crystal ball, how long the
12 investment cycle that we're in now will last but I
13 do see as long as the technological change
14 continues that we will continue to see changes in
15 the market. It's been kind of axiomatic that most
16 resources get most of their money from energy,
17 maybe a hunk from capacity by buying you know some
18 kind of reservation that you pay ahead to have
19 something online and little bits, little extras
20 from ancillary services. In the future we may be
21 paying more of our fossil units in some parts of
22 the country to sit around and be there when the

1 sun goes down or when the wind stops blowing and
2 that might require a different way of structuring
3 the payment stream and a different way about
4 thinking about the base load if we want it to be
5 there. And we're just really early in that
6 evolution of really thinking about you know, how
7 we pay resources in the future. I don't think it
8 will be how we paid them in the past if we see the
9 resource mix continue to change the way it seems
10 certain to.

11 The second thing that really is, the
12 second big piece of our work at FERC
13 besides markets is infrastructure. Starting with
14 transmission, we're believe it or not, it's been
15 almost five years since Order 1000 was voted out
16 requiring certain changes to regional planning and
17 cost allocation and some interregional
18 coordination of transmission planning. I hope it
19 has had a positive impact, I think in many ways
20 the impact is just starting as we start to see the
21 first competitive processes happen and I realize
22 it's been an enormous amount of work on the part

1 of the folks all around the country that are
2 working to make it a reality. And I think
3 appropriately we're taking some, putting in some
4 effort to see how it's working. So this morning
5 at open meeting we heard a presentation on
6 something that was teed up about a year ago on
7 transmission metrics, starting to get together a
8 set of metrics on how much transmission is getting
9 built, what's it costing, how is, how are
10 competitive processes working, are, is congestion
11 going up or going down, when do prices separate.
12 I'm almost certain we don't have the perfect
13 metrics I don't think anyone ever put out a set of
14 metrics and got it right the first time but try to
15 start thinking about how do you measure whether
16 we're getting the transmission we need and is
17 Order 1000 having a positive impact, is it
18 working, do we have to make changes, and so we'll
19 be tracking that going forward. And this morning
20 at open meeting it was announced that in late June
21 we're going to have a one and a half day tech
22 conference, there's almost not enough coffee for a

1 one and a half day tech conference on Order 1000.
2 Which is actually I believe, like butts up against
3 the PURPA tech conference so it will be like a
4 tech conference week the last week of June,
5 they're all adjacent to each other. But one of
6 the things that we're going to be digging into is
7 how competitive processes are working and what if
8 anything we might need to look at in our
9 transmission rate making and incentives. For, I
10 don't know how closely people, nobody's sitting
11 around reading all the FERC filings all day long
12 but over the last few months we've gotten a lot of
13 proposals for different ways for people to charge
14 for transmission, or different kind of incentives
15 or security that they weren't, that they want
16 built into their rate because of offers that they
17 make in competitive transmission solicitations.
18 So people saying, "Hey I gave a cost guarantee
19 that I wouldn't go above a certain amount for the
20 entire life of the project, I want mobile sierra
21 protection for that so it can't be changed," or "I
22 built a cost containment and I need an incentive

1 for a little bit more ROE in exchange for the cost
2 containment" and we have in the orders that we put
3 out, said we're not going to just decide this one
4 op, this requires a little bit of thought because
5 it's really a change in the way transmission is
6 priced and if there are changes that have to be
7 made in transmission rate making to make
8 competitive processes work we should think pretty
9 hard about that and that's part of what we're
10 going to do at that session in June and
11 potentially look at other parts of Order 1000 how
12 its working because we've seen some the RTOs come
13 in and say "Hey we're getting some proposals that
14 have one set of cost guarantees with (inaudible),
15 we got other sets of proposals that have no cost
16 guarantees, we have other proposals that have just
17 construction cost guarantees." This is not
18 something we've not normally done is do a lot of
19 cost comparison, how are we supposed to evaluate
20 these fairly so that we don't get into a
21 litigation loop and again we're trying to add
22 value here not make things harder so I think that

1 (inaudible) is thinking about before we start
2 deciding them one at a time.

3 If there's anything else to say about
4 transmission -- I know this is the Electricity
5 Advisory Committee but bearing in mind that a lot
6 of electricity these days is made with gas more
7 and more. The second part of our infrastructure
8 work is pipelines and LNG. That is becoming a lot
9 harder not easier. First of all we have a lot of
10 a lot applications that should surprise no one
11 given that gas is coming from places it didn't
12 come from before so the pipeline structure that
13 existed prior to the advent of hydraulic fracture
14 and shale gas is not the pipeline structure you
15 need in the world of where the gas is being
16 supplied now but in addition a lot of the gas is
17 being used for generation rather than the
18 pipelines being mostly built for the gas
19 distribution companies and so therefore, we're
20 seeing a lot of proposals to build new pipelines.
21 In some cases to support electric reliability. I
22 don't think it would be a secret to anyone that

1 we've seen a tremendous amount of opposition to
2 the use of natural gas as a fuel for generation,
3 particularly I would say in the North East,
4 generally defined. We had a large group of
5 protestors at open meeting today. I'm hoping that
6 never becomes something we just kind of don't even
7 notice because it happens every time. Although it
8 has been happening for about the last two years
9 and a tremendous amount of opposition to building
10 pipelines. Both the normal or to be expected
11 concerns of people who live close to whatever
12 infrastructure is going up, that's been always the
13 case, it's certainly just as much the case now if
14 not more but also, a real national debate about
15 whether we should be using fossil fuels at all or
16 whether we should not build anymore fossil fuel
17 infrastructure as some groups think so that we
18 could transition to something else. And although
19 FERC does not regulate fracking nor is the tsar of
20 how we get our energy, we are the very much the
21 full (inaudible) of where a lot of those protests
22 and debates are being felt and we are working as

1 hard as we can to understand our responsibilities
2 under the National Environmental Policy Act, to
3 understand how we decide public interest in a
4 pipeline, how we should do that, how we make the
5 best decisions but it is getting to be both
6 volumetrically and in terms of intensity a hard
7 area of our work. Looking at Gordon and other
8 people, the pipeline proposals, they're there for
9 a reason, there are constraints in the pipeline
10 network and there's a reason a lot of these
11 pipelines are being proposed.

12 Just want to turn quickly to
13 reliability, something I talked a lot about when I
14 use to come to this group all the time. It's been
15 ten years since the Energy Policy Act almost, ten
16 years since the Energy Policy Act was passed or,
17 no more than ten years, ten years last summer and
18 FERC got the reliability authority. I was on the
19 other side of the table for the first couple of
20 those years then nowhere for a few years and on
21 this side of the table. I would say the first,
22 I'm looking at Marc, the first five years were

1 getting our act together, who did what, how you
2 wrote standards and really codifying a lot of the
3 basics, a lot of the relays and tree trimming and
4 the things that were codifying how you ran an
5 electric grid. Over the last maybe two to three
6 years a lot more of the action has been around
7 emerging issues, cyber security, physical
8 security, I'm not sure that's emerging it always
9 existed but it's been of high visibility recently,
10 geomagnetic disturbances and solar storms. We're
11 a lot less energy around you know how often do you
12 trim your trees and more around some of the
13 emerging issues and the pace of how we do the
14 standards, you know where we iden -- either the
15 industry comes forward with a standards
16 application request or NERC makes a proposal or
17 FERC says we see a need and orders a standard to
18 be done and then the Committee is put together and
19 the standard is put together and it's voted upon
20 and it's submitted and we do an order and we put
21 it out for comment and we do another order. That
22 pace while well suited to careful deliberation on

1 what the standard should be, is definitely not
2 well suited to say Ransomware was invented last
3 week let's fight it now. It, you just can't make a
4 standard in time for some of the emerging cyber
5 threats, so it's something we have to think about.
6 I think the standards are becoming kind of what's
7 the basic framework of good hygiene and the rest
8 of the work is done voluntarily or in information
9 sharing forums or otherwise. I know we got a,
10 congress passed some legislation at the end of the
11 year intended to promote information sharing, give
12 us a Freedom of Information Act exemption from,
13 for critical energy infrastructure, give the
14 depart- Secretary of Energy emergency authority.
15 That's all very positive in my view but in the
16 mean time we try to make the standards as robust
17 as we can so they can be a basic protection that's
18 out there and we are on the sixth generation of
19 cyber standards taking effect in July. For the
20 first time something covering every bit of the
21 bulk electric system, those are I know engendering
22 a lot of work right now for people to get ready to

1 have the compliance deadline happen. The one
2 loose end hanging from our order on cyber was
3 supply issues. We wrote a couple pages in our
4 order last fall saying, "Hey it looks like a lot
5 of the cyber threats are coming through supply
6 chain," things that people buy that might have
7 malware or something in them and we want to think
8 about if there's anything we should do with
9 standards that would address that. To say that's
10 been controversial is an understatement, we-I
11 certainly know that we do not have jurisdiction
12 over everyone that makes a piece of software or a
13 piece of hardware but we're thinking about if
14 there are sensible rules we can put out for the
15 people we do have jurisdiction over. If there's
16 value we can add or if it's already covered by
17 NIST and (inaudible) and other folks and that's a
18 work of- in progress right now. A couple weeks
19 ago we held a tech conference on geomagnetic
20 disturbances. The ball's in our court now to put
21 out a final rule and we get that in place.

22 Final thing that Rich asked me to talk

1 about, relates to reliability is the clean power
2 plan and how FERC is engaged on that. So, I think
3 it's obvious but I think I keep saying it, we do
4 not make environmental rules. The EPA and state
5 environmental regulators make environmental rules
6 but they have a big impact on the part of the
7 world we do regulate which is the electric grid
8 and it's in part our responsibility to make sure
9 reliability is sustained as the rules come in
10 play, come into effect. I think that has worked
11 fairly well with the mercury and air toxics rule,
12 the EPA wrote a provision into the final rule that
13 provided an opportunity to get a little more time
14 if needed and gave FERC the and others NERC and
15 the RTOs and the states the ability to be advisory
16 bodies to EPA on whether more time was needed.
17 We've had four or five folks come in and ask for
18 more time and I think we have usually concluded
19 you know by either looking at the NERC standards
20 or their resource margins or whatever that they
21 had a good argument and passed that along to EPA.
22 That seemed like a big, big accomplishment when we

1 worked that out but it seems like child's play
2 compared to the complexity of the Clean Power Plan
3 with all the states coming up with their proposals
4 and figuring out how they weave together. Of
5 course the Clean Power Plan was stayed several
6 months ago, these, most of you probably know
7 better than me but I'm hearing that many of the
8 states are still thinking about what they might
9 do. The work has not stopped because at such time
10 as the stay is lifted and the deadlines
11 potentially kick back in it will be a significant
12 undertaking. Every study I've seen has said doing
13 things regionally is cheaper than doing things
14 individually, that's kind of a no brainer but it's
15 not straight forward with some states being,
16 choosing mass based, and some being rate based and
17 some people saying they're smart enough to figure
18 out translate them and other people saying no
19 you're not smart to figure out how to translate
20 them. I know I'm not smart enough but hopefully
21 there will be a way for people to collaborate even
22 if they have different structures. We had, FERC

1 staff had signed an agreement with the EPA and DOE
2 back around the time the Clean Power Plan went
3 final that we'd meet at least quarterly and talk
4 about challenges and hot spots and what we should
5 be doing. I believe those meetings are still
6 going forward although honestly, they're thinking
7 about how do best work now during this period and
8 we've been doing some outreach to the industry and
9 others. I know look around the table some of you
10 are the folks to whom our folks reached out to
11 figure out where things are so we stand ready to,
12 to work on it but we're a little bit in the period
13 of waiting to see what happens. But even though
14 the Clean Power Plan is stayed at the time when it
15 was proposed I'd said what we're going to have to
16 do with the Clean Power Plan is really three fold:
17 Make the markets work, make the infrastructure
18 work for the new resources and then any kind of
19 coordination with the EPA we have to do. Well the
20 third part is kind of on hold while we figure out
21 what the rule is but the first two are going
22 forward even though the rule is stayed the

1 transition to clean energy is anything but stayed.
2 I mean the, the beat goes on we see more and more
3 states pass different renewable standards, pass
4 different rules and in fact that's the last thing
5 I forgot to mention and then I'll take questions
6 is that a significant emerging issue is how
7 wholesale markets interface with state energy
8 policies. Different markets have made different
9 accommodations for state renewable standards and
10 so forth. Yet there is a sense that if you're in
11 a wholesale market fundamentally the market is
12 supposed to be choosing the resources so I can't
13 talk about some of the things going on in Ohio and
14 elsewhere because they're all pending but this
15 issue of how states and markets work together is
16 not going to go away. Change is happening for
17 everyone and you know markets are only going to
18 work in the long run if they have the buy in of
19 the states that are parts of them and we'll have
20 to figure out you know how make that work. I
21 think that's going to be a big piece of the work
22 at the commission going forward.

1 So with that happy ending of an
2 insoluble problem, I will be happy to stop. I
3 think I about stayed on time and take questions or
4 whatever you want to do next. Thanks. And kind
5 of an overview of everything so that no matter
6 what you want to talk about it it's somehow
7 related to something, or if it's not then just ask
8 anyway.

9 CHAIRMAN COWART: Questions for the
10 commissioner. All right, Gordon.

11 MR. VAN WELIE: Cheryl, you did a
12 fantastic job doing an advertisement for a panel
13 that we're going to have tomorrow morning which I
14 teed up because it's the same problem that you know
15 I'm worried about. So I'm not going to ask you
16 about that question that was just an advertisement
17 for everybody for tomorrow, to remember the
18 discussion in the last five minutes. But I wanted
19 to raise another issue with you which is sort of
20 the next stage of the, the discussion that I'm
21 also worrying and I mentioned it earlier on.
22 Which is, you know the sort of the first to

1 mention to the intersection of public policy with
2 wholesale markets is this renewable energy issue
3 and how does that effect the market and so forth
4 but I think the next stage of this which is coming
5 quite rapidly is what's happening the meter with
6 regard to distributed resources and so there's a
7 jurisdictional split there so you have, if we have
8 situation where we have a hybrid grid in the
9 future where, I'll just make this number up 70
10 percent, 60 percent of the resources coming from a
11 grid scale resources and is subject to FERC
12 jurisdiction and the wholesale market incentives
13 and as you pointed out we've taken great strides
14 with regard to tightening up product definitions
15 and so forth but 30 or 40 percent is coming from
16 behind the behind the meter is being contracted
17 for in a completely different manner and is not
18 necessarily seeing the same incentive system and
19 doesn't have the same operational accountability.
20 It's outside of NERC jurisdiction for example and
21 yet we have to rely on the whole to perform at the
22 right moment. How do we achieve that? And so I

1 think it's another sort of insoluble problem that
2 I'm, that I'm fretting about.

3 COMMISSIONER LEFLEUR: Well it's
4 certainly a good question. At open meeting today
5 we, they did the state of the market report and
6 every questions no matter how they were churning
7 inside they said, "Oh thank you commissioner for
8 that excellent question," you know before they
9 started kind of gritting their teeth and answering
10 it. I think the, at the highest level of
11 generality the constitution and the idea this is
12 what the Federal government and this is what the
13 States do has not kept up with technology and you
14 see things that are done behind the meter that
15 begin to look an awful lot functionally like
16 things that are done at a wholesale level and you
17 know the, I've said frequently it's not so much
18 that we're trying to reach behind the meter it's
19 that the technology is starting to blur or what's
20 distribution and what's transmission and what's
21 generation. At the most straightforward level as
22 you know Gordon what's happened thus far is some

1 of the early skirmishes had been around how do you
2 count what's behind the meter, do you account, how
3 do you account for solar, how much do you buy,
4 what do you count is going to be there. It
5 started with energy efficiency now it's around a
6 lot of the roof top solar. Grand Scheme that's a
7 fairly simple question although not necessarily an
8 easy answer. In term of the behind the meter
9 generation the, the policy of FERC, the precedent
10 right now is that as long as the relationship
11 between the customer and the distribution company
12 is a net sale, meaning that on balance at the end
13 of the billing period the company sells more than
14 they buy back from the customer, it will still be
15 considered retail rather than a wholesale sale.
16 What we're seeing is that those lines are blurring
17 as some states are putting in net metering that
18 has no true up, an annual true up a forever true
19 up, community solar that if you look at it quickly
20 it begins to look like a qualifying facility under
21 PURPA and I think it's inevitable that we're going
22 to have to wrestle with is in a different way than

1 we did before. It's not a battle that we're like
2 rolling up our sleeves and saying, "Oh we can't
3 wait to dive into this," but realistically we're
4 hearing a lot about people questioning where
5 community solar or some kind of sort of central
6 station distribution level resource ends and some
7 kind of wholesale PURPA machine starts and where
8 that all, and so I think it, that is ahead. I
9 mean clearly these are all resources that we
10 should have on the system and there's got to be a
11 way to take them in but it's going to require some
12 real adjustments with the way we think about
13 things from, it's just another adjustment. You
14 know we use to think about got the power plant,
15 you put an hour or so from the city, you build a
16 wire, extension cord to the person next door you
17 know then you have your, you pay on peak. I mean
18 that's the way everyone understood the system.
19 Now so much has changed, I remember the first
20 independent power producer, I had engineers in my
21 office saying the lights may go out, we can't hook
22 up to them and now it's just taken for granted.

1 This going to be another thing that maybe in the
2 future we'll take for granted that you can have
3 things on the distribution level but it seems like
4 a brave new world right and we have a lot to work
5 through.

6 I must have done a good job, there's
7 like six more cards, so.

8 MR. BROWN: Merwin Brown, CIEE. In your
9 remarks you, you mentioned something about having
10 to pay, I'll call them stand by conventional
11 generators for when the sun goes down and the wind
12 doesn't blow. How about the opposite of when
13 there's too much of that going on and you begin to
14 have to because of must take situations policy
15 contracts or even markets saying you should take
16 solar or wind first. How about the similar
17 situation where you're going to have to pay to
18 have the capacity there for stability reasons. So
19 anyway is that in the cards too?

that's

20 COMMISSIONER LAFLEUR: I mean yes, I think
21 right, I think first of all we're seeing more
22 negative pricing which is another one of those

1 things it's like, "Negative pricing, what's that?"
2 But I mean at some point you have more than you
3 can accommodate and you have to figure out what
4 should back down first but, I realize that there's
5 this hope that there'll be big wholesale storage
6 but in the meantime we're mostly using rotating
7 motors to fill in when the intermittent resources
8 are not there and that means giving them a payment
9 stream that keeps them alive and giving them a
10 signal to be built when they're needed and neither
11 of those were what the markets were initially
12 designed for. Power plants were built to run not
13 built to be there once in a while. Nonetheless I
14 mean this is, I was at Harvard Electricity Policy
15 group last week and we were talking a lot about
16 running base load combined cycle gas plants that
17 were built to be base loaded and how you cycle
18 them and how you move them up and down and
19 somebody said, "You know this isn't new, we
20 changed the function of resources a lot of times
21 in the past, this is just the latest example of
22 something that's happened a lot of times before,

1 Its just kind of mind blowing to think about it
2 with this set of resources because we think about
3 it as new, but the thought if you take a resource
4 and run it in a different way," yeah that's,
5 assuming our commitment to using the resources we
6 can't turn off the same way continues and is real,
7 then we're going to have to figure out how to pay
8 the ones we can turn on and off.

9 MR. MOUNT: Tim Mount, Cornell. I have
10 a question relating to the wholesale retail issue
11 that you've already touched on. Has there been
12 any development in the role for aggregators as a
13 way of changing residential customers into a
14 wholesale custom?

15 COMMISSIONER LAFLEUR: Well it certainly has
16 happened in the demand response world where if you
17 look at demand response which we pay as wholesale
18 resource, it can be one big steel plant like
19 Alcoa, I guess that's an aluminum plant but
20 whatever, some big plant that interrupts a shift
21 and gives you a whole bunch of load when you need
22 or it can be a whole bunch of customers with pool

1 pumps and water heaters that to PJM just looks
2 EnerNOC or Viridity or Comverge and they don't
3 talk to Mrs. O'Malley with her water heater. And
4 so those aggregators look like, well they're by
5 their very word aggregated so they look like a
6 resource.

7 When I walked out of distributed energy
8 resources, I think as frequently happens,
9 California has stepped into the lead and said
10 we'll figure this out and figure out how you take
11 a lot of things behind the meter and aggregate
12 them. I think this has to happen because I just
13 don't see, if I take off my FERC Commissioner hat
14 and pretend that I was just a person who had a
15 house or something, I for sure don't want to have
16 a contract with Gordon. I couldn't be bothered, I
17 don't even want to look at my electric bill I want
18 Bank of America to take it once a month and if
19 they just tell, let me know if I run out of money
20 in the account. So I for sure, I'm not one of the
21 ones who wants to be on my phone figuring out when
22 to turn things on and off so I need that

1 aggregator and I think there's more people like me
2 than not like me who need the in between in order
3 to get that. I don't have a pool, but if I had a
4 pool I know I wouldn't fool around with a pump,
5 I'd want somebody else to do it so I think there's
6 a real role there, and when there's a role and
7 people believe there's a revenue stream and they
8 believe it's going to be there for a while they'll
9 start to do it.

10 MS. BROWN: Hi, Marilyn, I'm Merwin
11 Brown's cousin. I want to continue the
12 conversation about behind the meter demand side
13 resources. Harking back to your notion that the
14 states and federal governments are getting
15 involved in that market and they're mandating and
16 they're interfering and, and logically because
17 energy efficiency has a lot barriers to it. It
18 won't happen naturally very easily there are
19 aggregation options but still there's a big mass
20 of potential there. You mention that in the Clean
21 Power Plan, the coexistence of these things is a
22 little bit tenuous and I don't think that the

1 Clean Power Plan is going to stimulate much energy
2 efficiency by state. I don't see our regulators
3 saying, "Well I'm going to go to my state energy
4 office and I'm going to get them to promise to
5 deliver a lot of efficiency," so, but I know
6 that's your purview really but you are responsible
7 for (inaudible) transmission side, going back to
8 Heather's comment, she really likes that, it's so
9 much easier.

10 Well, I had the opportunity to
11 participate in some FERC Order 1000 transmission
12 meetings and you know those --

13 COMMISSIONER LAFLEUR: God bless you, thank
you.

14 MS. BROWN: I know, I know. Those no
15 wires options are not getting much play in the
16 South-East and they are forecasting significant
17 load growth and you know proposals to build this
18 and that, here and there. I'm just not seeing
19 efficiency or even you noted 1.1 percent
20 deduct-reduction in load growth in 2015 over 2014
21 and that's a number I hadn't seen before --

22

1 MS. BROWN: I'm seeing such an over
2 commitment I think to new builds of transmission,
3 so what's going on there?

4 COMMISSIONER LAFLEUR: Well, the number you
5 site, just for everyone's benefit, the folks who
6 put together this State of the Market, on a
7 national level we are seeing low growth, really
8 staled to a little bit negative. Before I get to
9 the part of energy efficiency you're talking about
10 since it is a DOE meeting there is a big hunk of
11 energy efficiency that's passive that even I'm
12 dumb enough to do which is Standards because I
13 don't even have to think about it. If I need a
14 refrigerator, it will automatically be efficient
15 because Pat required or people who work for the
16 DOE put out standards and made it efficient and a
17 lot of that is, the standards and the codes are
18 increasingly-- I was one of the first people in
19 Massachusetts to buy a super efficient
20 refrigerator in 1992. I had to drive out of my
21 service territory because it was one of the first
22 pilot ones and I don't remember how much it cost

1 except that my husband was really angry at how
2 much it cost. He called it a superexpenso. But
3 now I could go blindfolded into a Home Depot and
4 any refrigerator would be so much more efficient
5 than that one I bought and so that is depressing
6 or stabilizing the load.

7 I think that the requirement in
8 transmission planning of Non-Transmissional
9 Alternatives is well motivated. In and of itself
10 if there is nobody there to sponsor the
11 Non-Transmissional Alternatives I'm not sure
12 that's a robust enough thing as just as a
13 transmission planning requirement given the
14 complexity of the stakeholder discussions to make
15 it happen. Where we've seen efficiency really
16 blossom has been where the state's embraced it.
17 And this is something, you really asked a bad
18 question because I used to do this back 15 or more
19 years ago, no God, 1992? How many years ago is
20 that 23 years ago? Anyway, a long many years ago
21 when they started doing efficiency in
22 Massachusetts and Rhode Island there were no

1 vendors to do it. But again when you make a
2 payment system and say we're going to pay for this
3 you build an infrastructure and once the
4 infrastructure comes it will start delivering the
5 services that's very irregularly sprinkled in
6 different parts of the country, parts of the
7 country that have had stable rates and not as much
8 of a big environmental movement have not really
9 spawned that. I think you need those aggregators
10 or vendors or organizations pushing it order to be
11 at the table and saying, "Hey, we can do targeted
12 efficiency here instead of building this
13 substation or whatever". It's not just going to
14 come out of a transmission organization. We're
15 seeing this spread to more parts of the country.

16 CHAIRMAN COWART: Thank you. I saw
17 Chris had a card did you-- okay, great. (laughter)
18 You got us all going Commissioner.

19 One of the things, I want to take you
20 back up to the larger scale again for a minute,
21 one of the things is that most of the studies that
22 have been done about Renewable Integration shows

1 the bigger the footprint the easier the job. You
2 have to opportunity to match resources from around
3 a big area. Wind is blowing in one place when
4 it's not blowing in another. There have been a
5 number of proposals to link the asynchronous
6 interconnections. I'm just wondering if that's on
7 the docket or on the horizon for consideration.
8 It does seem like there could be in certain
9 places some real big benefit in doing that,
10 matching resources, especially renewable energy
11 resources with others.

12 COMMISSIONER LAFLEUR: That's a great
question.

13 A few weeks ago I was in Houston and visited with
14 Clean Line and saw their map of the United States
15 and all the D.C. that's proposed. What we're
16 finding is that the, first of all the
17 Interregional Coordination Requirements of Order
18 1000, if we're being honest, have not spawned a
19 renaissance of interregional big projects. I
20 think there is a lot of reasons for that. One, is
21 the stale low growth, the other is there are a lot
22 of regional projects but the requirements of Order

1 1000 on inter-regional work, almost more a kin to
2 what 890 was like on regional, just kind of
3 coordinate, talk about it and it requires quite a
4 lot of regions both deciding it's in their
5 interest and not too much of that has happened
6 yet. It's something we potentially look at the
7 Technical Conference, we'll certainly look at
8 going forward in terms of is there more that has
9 to be done at a policy level.

10 The other big problem is that even if
11 the, like some of the Clean Line, for example,
12 proposals have whatever they needed FERC. They
13 have a ray making structure, the have an incentive
14 structure they have a proposal and so forth but
15 the siding is still done at the state level and it
16 just takes one state to say "No" in order to stop
17 on of these big projects and I personally don't
18 see a lot of prospect for Congressional action to
19 create more federal siding. It just seems to be
20 the opposite of the way the body politic is
21 moving. But I think state-- certain types of
22 resources are easier to show benefits (inaudible)

1 along the other than other types of resources and
2 so there might be big benefits for the country if
3 you built a line from the Midwest wind quarter to
4 a population center but if you have to get every
5 town and city and state you cross to believe that,
6 that's been a little bit of a barrier. You
7 probably are close to this. I'm interested in your
8 thoughts.

9 CHAIRMAN COWART: Yeah, well one of the
10 things I just wanted to mention, you mentioned the
11 anniversary of the Energy Policy Action I think
12 it's now the 11th.

13 COMMISSIONER LAFLEUR: That's right, this
summer.

14 CHAIRMAN COWART: It did give states the
15 ability to form multi-state compacts for the
16 purposes of siting renewable work, uh, multi-state
17 transmission. They don't have to go back to
18 Congress to get that, they already have it. But
19 nobody, I mean nobody has done it. You do find
20 states exercising their sovereign jurisdiction in
21 ways to frustrate generation mixes they don't
22 like. So, it's a lot of, I think, part of our

1 dysfunctional national politics is spilled in to
2 the energy realm in ways that are really
3 unhelpful. I don't know what we do about that.
4 It's affecting every part of our public life.

5 COMMISSIONER LAFLEUR: Energy it tied into
6 economic development and so states that have an up
7 side to big wind projects and all are more
8 interested in big transmission lines than states
9 that might be the custom and closing down things
10 that are local and have jobs. When I talked about
11 Congress I didn't mean that piece of the law but
12 there is another piece of the law that the DOE
13 would decide quarters that were congested and
14 people would come to FERC and we would site lines
15 and there have been a 9th Circuit case and a 4th
16 Circuit case that largely kind of stopped that
17 from happening absent for the Congressional action
18 that, at least right now, is not imminent.

19 I think there has to be-- if people
20 really all agreed that climate change was
21 something we all agreed on and we were going to
22 get there and there was a consensus and we were

1 going to get there then there might be more of one
2 state coming with the next state. As you well
3 know that's not the consensus view of everyone in
4 the United States who are of all the states
5 governments and so even that basic that I think--
6 a state has to be motivated to help pay for or
7 help site a big line to bring renewables from
8 another state and they're probably going to do it
9 if there is a reason for them and if they believed
10 that there was this huge environmental need to do
11 it, that's a reason. If there were jobs in the
12 state, that's a reason. If they were going to
13 save money on rates, that's a reason. But if they
14 don't believe one of those reasons we don't have a
15 hammer, there's not a federal requirement to do
16 it, as you know.

17 (laughter)

18 SPEAKER: It was a very broad set of
19 topics that you touched on. We greatly appreciate
20 your being here with us. Unfortunately, we can't
21 continue this conversation for the next hour.

22 COMMISSIONER LAFLEUR: Well, I'll come another

1 time. It's funny when I talk to people about, who
2 don't know anything about energy which is most
3 people, and describe what FERC does they kind of
4 look at me like, well what do you do after 10
5 o'clock? (laughter) Because it sounds so narrow,
6 Well do you do the nuclear power plants? No, we
7 don't do that. Do you do my electric bill? No, we
8 don't do that. But then when you're actually in
9 that little world that seems so broad, it's all
10 prospective, you know.

11 CHAIRMAN COWART: Well, we're really
12 honored to have you with us. Thanks for coming.
13 And I think we should return to the panel and have
14 the opportunity to really get into that.

15 (Discussion off the record)

16 CHAIRMAN COWART: All right, Paul.

17 MR. CENTOLELLA: Thank you Commissioner.
18 We're going to go from big federal level back down
19 to distributed energy resources and talk some more
20 about the different visions that you heard before
21 our Commissioner on the floor was here. So let's
22 open it up to questions and I see Pat has her card

1 up so maybe we can start there.

2 MS. HOFFMAN: So I found it a very
3 fascinating discussion in looking at the core
4 building blocks going back to-- a lot of the
5 speakers talked about granular load forecasting,
6 true cost of service.

7 The question I actually have is probably
8 more for the state people in the audience and the
9 panel, your thoughts on it because at the end of
10 the day it looks like we're going to have to
11 really rethink what is fair and adjustable rates
12 and equity among consumers if we're really going
13 to have to get into that microanalysis of the true
14 cost of delivered. You know, the electricity
15 delivered.

16 MR. CENTOLELLA: So, I can offer an opinion
17 but this is from a former state regulator and I'm
18 sure other state regulators also have opinions.

19 So, I always stated out from the
20 question of fair and equitable starts with what is
21 the economically efficient answer and then one
22 justifies variations from that but of course many

1 people start from the prospective what has the
2 past been and say can we choose the past, which
3 sometimes you can but many times you can't. So,
4 that tends to produce very different perspectives
5 on the atmosphere in the eyes of different people.
6 That was a summary I think of our lunch
7 discussion. So, were you going to comment on that
8 Rich as the former regulator?

9 MR. COWART: No, I have a question for
10 later but maybe we can start here and work around.

11 MR. CENTOLELLA: Sonny.

12 MR. POPOWSKY: Thanks Paul. It's just a
13 terrific panel. I just had a basic question about
14 rooftop solar. Every time I open the computer I
15 get a pop up add from Solar City, I can save 50
16 percent on my bill, they don't know what my system
17 constraints are, they don't know where I live and
18 whether or not I get a solar panel has more to do
19 with my credit rating than my distributed
20 locational marginal cost.

21 So, even if you have all this
22 information as utility, maybe Heather you could

1 answer, you don't control who, or how do you plan
2 for a product that's sold by pop up adds not by
3 system planning. So what do you do with this
4 information in order to make-- to get the results
5 that you want in this kind of market.

6 MS. SANDERS: So, it's why forecasting
7 is so important. It's so we take into account that
8 solar that comes on and what you're talking about
9 here is how much do you do in planning and how
10 much do you take care of in interconnection. So
11 right now we would plan this system based on load
12 forecast that are historical. We may or may not
13 know that there is solar there because the net
14 load will just change. It will just show up as
15 load so what we're working on is that more
16 granular forecast. So we cast the load piece and
17 then we forecast the solar PV contribution. So we
18 know what that is so when we plan the system we
19 recognize that and upgrade for that.

20 But what's happening now is that, we
21 don't have that information as easily as we can
22 and we can't project necessarily where things are

1 going to be so we just do the best we can in
2 planning and this is one of the things we talk
3 about in the DRP is getting better at forecasting.
4 We want to include these things in the forecast so
5 we don't over build or miss some critical
6 info-structure that we need in order to operate
7 the system, like I said about the troublemen.
8 Now we take care of a lot of it in
9 interconnection. We've established what's called
10 our Rule 21, some parameters so people with
11 rooftop solar can interconnect and it doesn't
12 affect the grid and then that gets reflected in
13 our load forecast because they're historical and
14 then we wouldn't build for that load we would
15 build for that net load. Does that help? Sort
16 of?

17 MR. POPOWSKY: Yeah sure. And then I
18 guess the pricing comes in that too because even
19 in California you continue with net metering as
20 your pricing and clearly that's not going to give
21 the kind of price signals that you're talking
22 about.

1 MS. SANDERS: Yeah, the whole discussion
2 of price signals is a whole other one. Yeah, net
3 metering the biggest challenge there is the cost
4 shift. I don't know, maybe someone else wants to
5 talk about the price signals.

6 MR. KALLOCK: I'll chime in here but I'm not
7 an expert in this area, it's really a policy area
8 but if you remember the slide I had up there where
9 we were optimizing on TRC, the TRC test was .94, it
10 was close to 1, but the utility cost test was 4 so
11 the utility had extra money that it could
12 essentially put toward incentives. But then you
13 have a regulatory or policy issue of how do you
14 handle those incentives? You don't want to
15 incentivize solar to one customer and not another
16 customer or give one customer another one.

17 So what we've kind of thought about
18 internally, and again I'm just speaking from our
19 opinion, was the utilities could offer bounty to
20 the solar cities of the world to target this
21 neighborhood versus that neighborhood. It goes to
22 the third party developer, it doesn't go to the

1 customer. But that way you get the solar put in
2 there the way you want. Just an idea.

3 PROFESSOR CARAMANIS: May I respond? The issues
4 of how do you get in the incentives, the local,
5 sort of time specific incentives, you can't get
6 them in if your pricing on an average cost basis.
7 On the other hand here is-- so we did the
8 distributed control or the distributed sort of
9 marginal cost base incentives or prices if you
10 wish, can bring about important benefits not only
11 for those who participate in them but also for the
12 rest of the people who do nothing essentially.

13 So, the key here, particularly on the
14 first question of how do you get from today's
15 average cost pricing and fairness, the notion of
16 fairness, how do you depart from this notion of
17 fairness that requires that you treat everybody
18 the same to some sort of a pricing scheme or
19 incentive scheme that doesn't treat anyone the
20 same without objections though.

21 So the first thing is to decide on
22 providing the opportunity to distribute the energy

1 resources to choose between seeing this sort of
2 average and fair in some sense or equitable price
3 or to see the actual margin cost base price. And
4 it's possible to have sort of a newer situation
5 like this in which you price some people on the
6 bases of average cost and others on the bases of
7 larger cost. So that's one.

8 The other thing is, is it fair to give
9 the same incentives, for example net meter, right?
10 Net metering is wonderful if it's based on an
11 (inaudible), right? And if (inaudible) is
12 everybody seeing the (inaudible) in location
13 specific marginal cost.

14 But net metering on the basis of three
15 months or one month and the average cost is not
16 necessarily correct. So the idea is, is it fair
17 to give the same subsidy to resources that bring
18 about different value and different savings to the
19 system in terms of avoided cost or info- structure
20 in terms of avoided costs or variable costs, fewer
21 costs, CO2 costs and so forth. That's a different
22 notion of fairness. Are we locked into-- so

1 that's a political discussion. It's a valued
2 discussion. But we don't, you know-- people say
3 we should have the same tax rate to everyone,
4 regardless of income. So that's, that's a
5 philosophical approach to what fairness is.

6 CHAIRMAN COWART: On this point as a former
7 regulator I will chime in and just observe that we
8 have historically charged everyone the same price
9 regardless of the fact that they historically
10 impose different costs on the system for reasons
11 of social value.

12 I'm personally in line with your
13 observation that we can continue to do that for a
14 lot of different rate categories at the same time
15 that we offer differential benefits to people who
16 optionally depart from that rate design in order
17 to do something different as a DER custom which is
18 the place we're in right now.

19 But I was going to ask the question of
20 the panel and to us all really, how far do we want
21 to go with time sensitive, locational sensitive
22 variable LMP at the distribution level anyway?

1 There is just this question of purity of the
2 pricing structure versus the reality of what
3 people actually want to do and how much you have
4 to put on the table to get the resources you
5 actually need to accomplish the basic goals of the
6 system. So, I'm convinced that there is some nice
7 middle ground here that we will get comfortable
8 with without having the price structure reflect
9 the high degree of variability that was in all of
10 your charts.

11 PROFESSOR CARAMANIS: Well, absolutely. Price
12 variability if you have organic or marginal cost
13 base pricing to which participants can respond.
14 The overall price or the overall cost variable
15 because it goes down, it does go down. So then,
16 how far? As far as it makes sense and as far as
17 it is acceptable, you know socially acceptable?
18 As far as society is willing to go along with it?
19 But having the facts and the measurements and the
20 costs and the benefits evaluated is important.

21 SPEAKER: And I'd also say that allowing
22 a high degree of variability at wholesale is a

1 different thing altogether.

2 CHAIRMAN COWART: Let's move on
3 recognizing we only have twenty-five minutes and
4 we have a bunch of cards up so Carl do you want to
5 do something with--

6 MR. ZICHELLA: Yes, I'll be as quick as
7 I can. Well, thank you for a great panel. It's
8 been extremely interesting to see the level of
9 work that has gone on into trying to understand
10 how we would do this. It's very, very impressive.
11 One of the things I wanted to mention is the
12 conversation with distributor generations is
13 almost exclusively been about what it cost the
14 system and then cost shifting and all this. So, I
15 think if we're going to get people who are
16 investing thousands of dollars of their own money
17 in technology that does have a boarder system
18 benefit, having this kind of conversation, come to
19 conclusion about what that sharing ought to be is
20 really the way to go. I'll point out that's one
21 of the recommendations that we made in our
22 Modernizing the Grid Report in the year before

1 last. So, I'm really gratified to see this come
2 forward this way. I think it's necessary if we're
3 going to get past these conversation about etching
4 net metering programs in stone. We're going to
5 make changes, people have bought into them, we
6 really need to make them fair to both sides
7 because we are seeing great benefits as you're
8 shown.

9 One of the things I wanted to mention
10 though went to understanding the distribution
11 system and this may be, Bill, goes to you a little
12 bit is the great detail you described in analyzing
13 how the system looks down to feeders, circuits,
14 transformers. I mean that to me is really
15 impressive but one of the things I've learning in
16 recent months is you can't always depend upon what
17 you think you've got there because after every
18 event that a troubled guy that Heather has gone
19 out with goes out and makes a change to the
20 system. It may not always be perfectly recorded.
21 You may wind up with some of the customers on a
22 phase that you didn't expect, that kind of thing.

1 So, there needs to be an understanding a
2 better tracking of the changes that are routinely
3 made to the system and the distribution grid, just
4 fixing stuff that happens that Heather was
5 describing to us. And by the way Heather I've
6 only read the executive summary, I'm sorry, not
7 five hundred pages. I'll get to it but I need to
8 go on vacation in order to get to that [laughter].
9 Thanks for your work on this.

10 PROFESSOR DIVAN: I think it is a very
11 important question, one that we've struggled with
12 because we've done the same level of modeling in
13 all the distribution feeders right down to
14 transformer level and even down to the meter
15 level. The models that utilities have are very
16 inaccurate to say the least, most of the time, and
17 it's very complex in any case because you have to
18 take into account the variability of the load and
19 everything else which is kind of a high level of
20 complexity to add on it.

21 What we really discovered is that when
22 you actually start controlling from the age of the

1 grid you saw some of the data that we showed,
2 there is a cell balancing property that emerges
3 where the entire grid kind of becomes well behaved
4 and very predictable and all the dynamics that are
5 still there and kind of get smoothed out
6 completely. In that case, when you think about
7 optimization and both of the control our utilities
8 do they're very complex and Heather talked about
9 configuration and the networks changing all the
10 time and when it changes you really kind of do VVL
11 because it's very much configuration dependent.

12 Where we've been able to demonstrate
13 that when you take that and you have a cell
14 balancing property and make the system completely
15 independent of the configuration. So we don't
16 need to know the configuration we don't need to
17 know individual loads we don't need to know. But
18 what we are doing is compensating at each load or
19 at a fair number of loads dynamically compensating
20 to smooth everything out and when you do that's
21 all you need and you because less sensitive to
22 this detail if you want. So you want to detail to

1 maintain service at an individual load but you
2 don't need that to get the control of the system
3 that we're talking about.

4 MS. SANDERS: You make it sound so easy.

5 PROFESSOR DIVAN: It is.

6 MS. SANDERS: It's not. What we also
7 really need to be able to do is, when we calculate
8 this integrated capacity availability we do it
9 based on the normal topology and I was texting
10 again, we do some twenty thousand switching
11 operations every year. So what we really need to
12 be able to do is not just study that in its normal
13 configuration but in the other configurations as
14 well so we can maximize the amount of that DER
15 that's deliverable at any point and time. And we
16 don't have that capability now and that does
17 require these complex modeling. Now all of this
18 stuff about getting it to the edge and I don't
19 know how that works, so more to learn.

20 CHAIRMAN COWART: Carl, just following
21 up on the question, the process that we go through
22 now as Jennifer was saying, we're kind of using

1 the system as expected and we're doing an annual
2 forecast. That's the first blush. But then
3 within that we have multiple portfolios that we
4 call switching. So we can say that X amount of
5 switching takes place, I can't remember the number
6 that Jennifer just said, thousands, [off mic talk]
7 Heather, sorry, thousands of switching but we can
8 put those into portfolios and we can say, okay,
9 given this amount of switching here is what the
10 DER would look like. Here is what the optimal
11 forecast would look like.

12 So that goes into sort of the stochastic
13 forecasting that we're doing. But then, as we get
14 more and more into this analysis and the data
15 become available quicker our forecasting will go
16 from, on an annual basis to a monthly basis to a
17 weekly basis. Then we'll be able to adjust for
18 things going on in the grid. So it's just a
19 matter of processing and time.

20 MS. SANDERS: I just thought of this, if
21 we have more monitoring sensing out there we'll be
22 able to drive the configuration as well. So what

1 they change or what they forget to switch back
2 will become less important because we're going to
3 need that situational awareness anyway. I don't
4 know why I didn't think of that first.

5 MR. CENTOLELLA: A quick footnote from our
6 lunch discussion, DOE has funded some work on
7 transmission topology optimization which very
8 interesting in terms of increasing transmission
9 capabilities. Wanda.

10 MS. REDER: Well, I had two and the
11 first one was one the work force implications. So
12 the regular planning takes a bunch of work and to
13 get it down to the (inaudible) is huge and even if
14 we depend on sensing and increased automation the
15 journey is going to be interesting and I think we
16 need to have a very honest conversation about the
17 skill sets it takes to go from here to there.

18 So, that was one but the other one is,
19 on the distribution side we expect accountability,
20 reliability and safety. And yet there is
21 acknowledgment that there is more and more back
22 feed on to the system and fortunately we are

1 starting to get out hands around that from tools
2 and such but it seems we have the distribution
3 utilities in a bit of a catch twenty-two right now
4 on the operation side. I just want to kind of
5 open that conversation and so, okay so how are we
6 managing through this reliability, safety aspect
7 as the system is changing and what can we do to
8 make sure for society overall the journey is the
9 right one.

10 MS. SANDERS: Yeah, we have a whole team
11 working on that because it is essential and it
12 really is important and I don't even know the
13 answer to that either but we do have a whole team
14 on that. It's front of mind especially as we go
15 on these ride-alongs and we see what these guys
16 are faced with every day, it's really important.
17 They have those maps in their cars and they talk
18 about, or their trucks, and they talk about how
19 they are being upgraded and how they work and how
20 they don't work so we need to make that connection
21 and-- we have a whole team on it so it's really
22 important, I couldn't agree more. What we do is

1 we really try to involve operations in these
2 discussions about interconnection and protection
3 schemes and how we're changing things up.

4 The particular trouble man I talked with
5 is also a trainer of others and what he noticed
6 is, I have to retrain these people four, five and
7 six times and they don't change. So it's really
8 important, it's really challenging, mistakes get
9 made because they don't know to think about it
10 differently.

11 There was another one there was zero
12 current on the line, breakers open, right? Guess
13 what breaker is not open, they paired up a whole
14 bunch of solars same day. And so their
15 troubleshooting actually dropped load because they
16 isolated that circuit because they thought the
17 breaker was open. And I'm like, oh my gosh.
18 These are the examples of things from an operation
19 perspective we get and we need to train and
20 retrain our operators but there is so much to know
21 and so I'm with you hundred percent on that one.
22 We have a workforce team that's part of our grid

1 modernization that's working with our customer
2 side and our operations, our trouble men out in
3 all the districts and so it's a tough one, it's a
4 very tough one.

5 PROFESSOR CARAMANIS: If I may add there is a
6 huge difference between investment at the utility
7 level, the distribution utility level and the
8 types of investments that DPAC was talking about
9 for example which are very small and numerous and
10 distributed and could potentially be undertaken
11 not by the utility but by the electricity users,
12 the participants in to the grid because they are
13 small investments they are sort of this create and
14 small decisions and they risk associated with them
15 and the matching of the cost of the benefit can be
16 done automatically and innovation can be fostered
17 and so on the base of design on the base of
18 manufacturing. How many of those do we
19 manufacture? What new devices are being
20 manufactured? If these are rewarded on the basis
21 of their actual benefits, the local marginal
22 benefits and then the long term forecasts are very

1 important when some of the things of investing
2 into a new generator. That's exactly what they
3 do, they try to forecast the LMP's for ten,
4 fifteen years and they are different scenarios and
5 so forth.

6 So let the individuals who invest in
7 these small investments through their load aggregators,
8 through sort of regional neighborhood coordinating
9 agents if there are any but I think you can do it
10 by yourself. You don't need to run around and
11 turn on and off things. You need an application
12 on your smart phone and that's it. Where you can
13 specify some broad preferences and it just works
14 out at the distributor level. Now that
15 communication is cheap, now that computation is
16 cheap if we get our act together we can do it.
17 And then utilities right now, okay some
18 calculations are better than others but many don't
19 know what the capabilities of the transformers
20 are, what the lines do and so forth. Do they have
21 an incentive to find out? They could if we were
22 doing distributor control, if each line could

1 calculate its losses and convey that to people
2 who are, whatever, distributor energy resources
3 that are connected to either side and so on.
4 Then, there would be the motivation so find out
5 about these costs and distribute the energy
6 resources, that's the idea. They constitute
7 investments and decisions that can be taken up by
8 individuals who can also undertake the risk in
9 some sense either by themselves or on a
10 neighborhood or sort of a grid basis and so on.

11 These are, I think, the transformation,
12 the paradigm shifts in investments before and
13 investments after the distributed energy
14 resources. We used to pay our light bill, that's
15 why fairness was very important. We still say we
16 pay the light bill but it's not the lights we're
17 paying for. Very different type of services that
18 we're getting.

19 CHAIRMAN COWART: Let's try and get a
20 few more people in. Merwin.

21 MR. BROWN: Thank you, Merwin Brown,
22 CIEE. One brief comment to follow up the

1 conversation Carl and Heather had where Heather
2 mentioned monitoring, I might pass along some
3 information on the micro-synchrophasor development
4 that we're doing.

5 What we've learned from about a hundred
6 units being deployed in various distribution
7 systems now is that you can see things such as
8 phase imbalances, you can see where relays are
9 open and you can see what the load is behind a
10 distributed generator with these devices. Whether
11 they are worth it economically yet or not, we're
12 still in research. But they are beginning to be
13 deployed now in some pre-commercial will
14 applications.

15 The question that I had was that in
16 Bill's presentation, the work that you guys did
17 was working under, I'll call it the assumption,
18 that there would be no reverse power flow in a
19 line, as I understood it. And you came up with
20 the value of distributed generation of that
21 scenario. I think there's going to be a lot of
22 pressure to go ahead and force reverse power flow.

1 Eventually the Southern California, Los Angeles
2 basin is going to want to move out on a very
3 bright sunny day power into the rest of California
4 or into Nevada or Arizona. So is there any
5 thought on what would be the increased value if
6 any and what it might-- any comments on what it
7 would take let's say in maybe physical changes in
8 the grid to be able to allow and capitalize on
9 reverse power flow?

10 MS. SANDERS: So reverse power flow in
11 our system has not been a problem. We have a lot
12 of reverse power flow, I know, don't say that out
13 loud. But it hasn't been a problem and it's not a
14 problem because of the way our system is designed.
15 What you get before you get a problem with reverse
16 power flow is you get a limiting factor on voltage
17 or thermal loading. So reverse power flow has not
18 been seen as a problem on our system yet.

19 What we're doing is as part of one of
20 our demo projects in our distribution research
21 plan, we are going to study the reverse power
22 flows impact on the substation because all of the

1 cities to date have just been circuit to circuit
2 and so the limits will bind there. What we're
3 really concerned about is the reverse power flow
4 because you have multiple circuits going into one
5 substation will overload the transformer in the
6 substation because regardless of which direction
7 it's going that transformer has a loading. So
8 that's where we're going to get into trouble in
9 reverse power flow I think from there. So we're
10 working on demoing that capability and what it is.
11 But for now, on our system we haven't seen
12 problems with reverse power flow, including the
13 protection or the voltage. We get a different
14 binding constraint first.

15 MR.KALLOCK: That's absolutely correct
16 Heather and that's exactly what we've been
17 finding. Our modeling and our optimization
18 algorithms allow us to switch on the assumption of
19 no power, no reverse power flow or reverse power
20 flow. So the example I was showing you was
21 simplistic. We had reverse power flow check the--
22 to prevent that is the strength to the

1 optimization so that I could show you that it was
2 7.38 megawatts on that one chart. If I had taken
3 that off of course it wouldn't have been so clean
4 and easy to demonstrate. But, absolutely great
5 question. Reverse power flow is not an overall
6 constraint as were finding as well.

7 PROFESSOR DIVAN: We've done extensive
8 simulations and we've now got a few feeders where
9 we're running with high solar and we don't see
10 that diverse power flow is a problem and we've
11 also seen that if you manage the voltage properly
12 which we are able to do then there really is no
13 limit as to how much you can do until you hit some
14 fundamental constraint in terms of the generation
15 and putting fuel back into the tanks.

16 CHAIRMAN COWART: I'm sorry-- if it's
17 quick?

18 SPEAKER: I hope it's quick because I'd
19 like to ask another following question--

20 CHAIRMAN COWART: Well maybe we should
21 move on because we have--

22 SPEAKER: The only other question is

1 would networking the distribution center make it
2 even better for reverse power flow?

3 PROFESSOR DIVAN: We've got solutions that
4 allow you to control the network system a little
5 bit better but I mean under traditional controls,
6 I don't think so, I think it's a problem.

7 CHAIRMAN COWART: Anne.

8 MS. PRAMAGGIORE: Thank you. Anne
9 Pramaggiore from ComEd. Great panel, I've really
10 appreciated the input. So my observation from
11 your collective presentations is that while
12 typically, or often in transformations we see
13 technology sort of over runs policy or regulation.
14 In this case it seems to me that we're got policy
15 in one sector of our business that's really
16 outrunning the technological ability of another
17 sector, which is the grid. So the technological
18 features of the grid and our ability to actually
19 economically capture what we're trying to do here
20 is pretty darn limited. And so my question to you
21 is somebody who's got to actually operationalize
22 all we're talking about here, do you have an

1 opinions on what might be critical path on the
2 road map to get from here to there; what you would
3 tackle first, what you would consider the most
4 critical elements?

5 MS. SANDERS: So for us I think the most
6 critical thing is just getting the monitoring out
7 there so we know what's going on and then getting
8 our field personal trained to know what questions
9 to ask when they see things that would normally
10 lead them to a certain conclusion. So like no
11 current on the line doesn't necessarily mean your
12 breaker is open. So that would be the number one
13 priority is to get that visibility.

14 The second piece is the analysis. What
15 does it mean? And then the third piece is the
16 control. So what we're looking at right now is as
17 these DER's come on the system can we and we are
18 doing this, we're adding a lot more automated
19 switching and fault indicators so that we can
20 sectionalize better, we can maximize the use of
21 those DER's and minimize the number of customers
22 out.

1 So as we go through our vision of grid
2 modernization, the monitoring, the analysis, the
3 control piece and then eventually the reliability
4 optimization and then farther in the future,
5 depending, the economic optimization. So you go
6 through these paths of certain software and
7 info-structure that enable these capabilities for
8 the different uses.

9 The other piece of this is this grid
10 reinforcement piece. You can't expect us to be
11 able to use DER's and operationalize them without
12 these things. You need switches. The IT and the
13 OT has to come together. So priority wise it's
14 really getting the information-- first getting the
15 data, being able to analyze it and I know Merwin
16 and I have talked about this quite a lot: What's
17 going on that you don't know that's causing you
18 problems that you don't know about? So that's
19 what we're trying to think from a priority. But
20 we don't get to decide, the Commission decides for
21 us. So we're really trying to help line up, you
22 know, this is what you're trying to do and this is

1 what it takes to do this and there is a lot of
2 competing discussion about that which is why, you
3 know I suggest again getting this discussion going
4 about these equivalent solutions. If I don't
5 build infrastructure and I put DERs in to
6 fulfill that function what else do I need to make
7 sure that get operationalized. So, just to have
8 that understanding and that discussion.

9 CHAIRMAN COWART: Okay, Tim.

10 MR. MOUNT: Tim Mount, Cornell. The
11 panel did a very good job of identifying all the
12 challenges we face on distribution systems but
13 really Professor Divan is the one who
14 provided a solution to, you know, one of the
15 problems that's got to be solved and I would
16 characterize it as: Solve local problems locally.
17 If you add distributed storage to this model then
18 you can manage your daily load profile keep a
19 power factor with in a range.

20 My question to Professor Divan is
21 who should be in charge of doing this in the sense
22 of do we need to have a distribution system

1 operator who decides what needs to be done and if
2 that's the case should that person work for the
3 ISO, for the utility or be an independent entity
4 and I would like to add just a little corollary
5 that Cornell does it now. We have thirty megawatt
6 load, we manage our load very well and we maintain
7 a stable power factor. Goodness knows how the
8 utility guys do it but we get punished if we fall
9 outside it very simple market mechanism.

10 PROFESSOR DIVAN: We've now got about
11 twenty-five or thirty utilities that are using
12 this on many feeders so we've now got a lot of
13 data that has is beginning to show us that it is
14 possible to stabilize the voltage across even long
15 feeders, of course shorter feeders and is able to
16 kind of compensate it out and once you do you have
17 the ability to kind of move the voltage up and
18 down and do active demand control which is from
19 the grid side as opposed to the customer side. So
20 you can do that without impacting equality of
21 service. And I think they've been able to
22 demonstrate that over and over again so now, this

1 is all good.

2 The next question you raised I think is
3 an important one. I mean in our mind what we've
4 done so far is really treated the utility as our
5 customer and giving the distribution utility the
6 tools to kind of begin to do things with their
7 system that they have not been able to do before.
8 So whether it's demand management-- so, a lot of
9 the co-ops have been able to use this for big
10 demand control because it's one of their biggest
11 costs so they, you know, so when their big demands
12 charge hitting they can ramp down the voltage and
13 save on the energy costs and that's net saving for
14 them.

15 So far we've only been working with
16 utilities but is it possible for some distribution
17 utilities who kind of coordinate and give it to
18 somebody else and then charge for transmission
19 support? We're already beginning to see that we
20 have people like Southern Company that are
21 starting to use this to try and see whether they
22 can at couple substation level, you know, get

1 significant jump of power that they can use to
2 control its support desk for transmission. So
3 we're beginning to see all these things actually
4 emerge from data on the field right now. I'm not
5 sure I fully answered the question but there were
6 a lot of elements to your question and I can
7 answer you afterwards.

8 MS. SANDERS: Do you want to know what I
9 think?

10 PROFESSOR DIVAN: Yes, please.

11 MS. SANDERS: You know at Edison we see
12 the DSO's a real natural extension of what the
13 utility does. You know when you think about what
14 a DSO needs to do, it needs to plan the system and
15 operate the system and make sure that it stays
16 reliable and safe, so while we do planning today
17 we need to evolve that planning. While we do
18 operating today we need to evolve that operation
19 and then the new function is to lay our market on
20 top of that from a retail perspective. Now we
21 have a lot of those mechanisms already.

22 So from our perspective we have a lot of

1 thinking about this. There are absolutely
2 implications on the business model to doing
3 something like this and to be an independent
4 selector of solutions and so we're just starting
5 this conversation right now with in Edison so I've
6 only gotten to the point where we can say we see
7 this as a natural extension of the utility. We're
8 not exactly sure it looks like, so hopefully
9 that's a helpful perspective.

10 CHAIRMAN COWART: Okay, Jeff.

11 MR. MORRIS: Thanks, I'll make mine quick
12 so we can get to Mark's better questions. My
13 question is for Heather. Edison does a life cycle
14 risk analysis in your integrated research planning
15 much like our utilities do up in our neck of the
16 woods. How do you propagate our the granularity
17 you have with load for casting and the DER process
18 into that and I guess isn't there much less
19 capital risk in looking at some of those DER
20 investments versus what you're doing in your ARR
21 plan?

22 MS. SANDERS: We're working on it. So

1 we have three different ways of looking at this.
2 There is the distribution planning aspect from the
3 load growth and that satisfaction. There is the
4 planning aspect from the infrastructure
5 replacement and that happens. And then from the
6 reliability and the risk, so we have a prism from
7 work that we apply and so we are, well first
8 organizationally we moved the info-structure
9 replacement folks back into distribution
10 engineering. We also established a very direct
11 coordination with the reliability planning as
12 well. So first organizationally to get those
13 processes together because they're becoming more
14 dependent so I'm not able to answer the question
15 because we're working on it but it's-- I just sent
16 a question to my engineers today I said I want to
17 understand better what causes each piece of
18 equipment life to deteriorate because there are
19 these assertions about, oh I can relieve loading
20 or I can make the load factor better and it
21 extends life. Well, that's not true for all
22 equipment. Transformers to some extent but the

1 number of times you have faults also affects life
2 and so their response to me was: We have to talk
3 to these people in reliability, RECB-- all these
4 acronyms, but in that group get that information.
5 So we're starting to do it, it's in our minds on
6 how we bring all of that together. It's really
7 important.

8 CHAIRMAN COWART: Mark.

9 MR. LAUBY: You know when we look forward into
10 the bulk power system and how it's changing over time
11 and we see more and more generations shifting from
12 the bulk system to the distribution system we see
13 a lot of challenges from the operational
14 perspective, balancing obviously being one of the
15 things that you need to worry about,
16 observability, what's out there, how much is out
17 there and yet when I was walking by the TV sets at
18 Walmart, well okay let's say Nordstrom, I'm a
19 classier guy than Walmart, I heard the words

1 around the grid that was getting old, the decrepit
2 old grid and how you need to buy generators, and
3 they would be generators you put right at your
4 house and run on natural gas, and they will be there for
5 emergencies and what a wonderful life it will be.
6 And overtime of course there will be more of these
7 things that will be installed without like you
8 were saying, it's just being built.

9 So now how do we get in front of this?
10 So I start thinking to myself what are some of the
11 reliability services that, we talked about
12 frequency response and some of the ride through
13 etcetera we're going to need.

14 We talked about coordination of controls
15 and we talked about the operating challenges. So
16 one of the thoughts that come to my mind, I'm sure
17 there are some guidelines out there already being
18 put together is from a planner's perspective, how
19 do you plan that system that you're giving to the
20 operator so they can operate it reliably? What
21 are the, in fact, there needs to be any standards
22 or guidelines from an operators perspective what

1 tools and exact guidelines are they going to need?
2 And when we talk about coordinating the controls,
3 I'm not afraid of coordinating the controls, we've
4 done it over and over again for many, many years
5 but now we're talking about a three phase system,
6 what kind of tools are we going to need to be
7 developing here sooner rather than later. So get
8 some thoughts around those aspects now that you've
9 learned so much in recent implementation of DR.

10 MS. SANDERS: There is a lot there and
11 you almost answered your own question. So from a
12 planning perspective, the planning entities have
13 different objective functions so transmission
14 planning objective function is supply and demand
15 balance and recovering after contingencies. So
16 it's frequency.

17 Distribution planning objective isn't at
18 all about supply- demand balance it's about
19 managing voltage and overload, so thermal voltage
20 protection, some other things get thrown in there.
21 So, from a grid planning perspective these things
22 can be done this way, you need a coordinated

1 assumptions. So in California our energy
2 commission does the load forecasting for the
3 state. The transmission planning uses that, then
4 distribution we do a bottom up plan based on the
5 tribal knowledge of the engineers who hang out in
6 those places about what the loading on the
7 circuits going to be. Those need to be
8 coordinated because if we're planning a
9 transmission system that assumes 12,000 megawatts
10 of distributed generation, that 12,000 megawatts
11 better show up in the utility distribution plan
12 somewhere. So, that's step one for planning.

13 Now, for grid planning. Then if you
14 moved to resources planning, this is where it gets
15 really exciting. So now we're going back to the
16 future in thinking about integrated resource plans
17 and so what we'll need to in the future is think
18 about the construct for committing and procuring
19 resources for bulk system reliability and what
20 that's for and when it needs to be available
21 versus distribution. So when you think about the
22 values that storage or other DER's could provide

1 to the system, how many of those can you do
2 simultaneously and how will you coordinate that in
3 opera--- so this is a prioritized control because
4 you have the customers priority: I need to manage
5 my peak demand and my demand charge. You have the
6 distribution grid priority is I need to keep my
7 phase balances everything in voltage and then you
8 have the transmission grid priority of the overall
9 supply-demand balance plus the ability to recover
10 after contingency. So, we are working right now
11 with RIS their adventive of facilitating
12 distributed energy resources to purchase, in their
13 wholesale market ahead of us having the
14 capabilities to monitor, understand, dispatch,
15 etcetera, do any DSL functions with them so that
16 nothing bad happens when a central dispatch comes
17 to a distributed resource. You can solve it in
18 interconnection but that would be really costly,
19 or you handle it operationally. So there was a
20 lot in that question. There is a lot to do there.
21 But you just have to think about the different
22 problems you're trying to solve, different

1 objective functions and how each of those
2 resources can contribute to those objectives in
3 what period of time. So more granular visibility,
4 more granular control, prioritize control,
5 etcetera. And I don't like to make things sound
6 easy because it's not, so I'll let these guys make
7 it sound easy.

8 (laughter)

9 CHAIRMAN COWART: So I don't know if
10 it's easy but you just laid out a whole bunch of
11 these cases for grid architecture I think. Paula,
12 you have the last question.

13 MS. SANDERS: Can I say something about
14 grid architecture?

15 CHAIRMAN COWART: Okay.

16 MS. SANDERS: So, we rolled out our
17 architecture at the DistribuTECH Conference this
18 year, it's out on our website. What we're really
19 thinking about from architecture perspective is
20 this is an uncertain future and in uncertain
21 future you want to invest as little as possible of
22 that could get stranded. So what we've done is

1 we've tried to really push most of the
2 functionality into software and limit the hardware
3 and so we've published our high level architecture
4 which is really very consistent with Jeff Taft and
5 that work has been as well as a concept of
6 operation. So a lot of-- we hired the dream team
7 of architects to come in that have been very
8 active in these different things to put that out
9 so I just want to just make sure you guys are
10 aware of that and kind of what we're thinking in
11 that aspect.

12 CHAIRMAN COWART: Paula.

13 MS. CARMODY: I guess I'm the proverbial
14 person keeping everyone from dinner. Just a quick
15 aside from the comment Pat, the comment that you
16 made, that's what gives me a headache twenty-four
17 hours a day when we're looking at kind of pricing
18 and what we're going to be doing with the rates.
19 That's all I can say. It's there on our plate and
20 Rich, you know, I think eventually we're going to
21 get to the point you're saying we need to have
22 something that's going to be there for mostly

1 everybody in terms of residential customers but
2 there is going to be some opportunity for more
3 precise pricing for things. But it's going to
4 take us quite a while to get there on the state
5 level.

6 So, I'm kind of the consumer person
7 here, not the techy person here but kind of all my
8 customers pay for all the stuff that you're
9 talking about. I'm in Maryland, a restructured
10 state. Part of the PJM wholesale market. Also in
11 a state that's been very much-- in terms of the
12 legislation that's been passed, supportive on
13 renewable energy in terms of our PS goals. We
14 passed a community solar pilot program. We've got
15 lots of energy efficiency going on. So you're
16 caught with a conflict between lots of: Do it now
17 or do it yesterday in terms of developers,
18 competitive companies, some of, certainly,
19 customers that really want, we're talking about
20 want stuff done now. More activity from investor
21 owned utilities and co-ops wanting to do what the
22 competitive companies are doing in terms of the

1 DER space. So, do it now, but on the other hand
2 in terms of the wonderful presentations lots of
3 you were making, you're talking about a very kind
4 of complicated process that requires a lot of
5 modeling and analysis and granularity to try to
6 get to the point of, what is the most cost
7 effective, the most reliable way to do thing kind
8 of on the system whether it is done in terms of
9 the distribution and transmission system or you're
10 talking about kind of the customer kind of doing
11 it.

12 So all I'm saying is you've put us in a
13 stakeholders in quite a quandary with all of this.
14 So I'm going to go back to-- in terms of the
15 distribution planning. I'm in a restructured
16 state, the companies do planning but we don't have
17 a planning process any longer in the state of
18 Maryland has maintained it.

19 So I know the companies are doing
20 planning but it's not transparent to stakeholders.
21 We don't know what they're doing really. So the
22 question for any or all of you is that for

1 somebody like me, what would be kind of a top five
2 list of things that you think I should be asking
3 or wondering whether or not my utilities are doing
4 in terms of distribution system planning in this
5 DER world that you think that they may not be
6 doing and they should be doing so that I can take
7 that list back to my companies?

8 PROFESSOR CARAMANIS: Let me give you my
9 single point here. The single point that I think it
10 missing is the actual awareness and calculation of
11 what the costs are by location and by time. And
12 then that essentially quantifies the distributor
13 control and the distributor decisions and the
14 distributor investments and so on and allows for a
15 coordinated way to go forward and an efficient way
16 from societies point of view. Everything is cost
17 driven so it benefits, equal to cost, right?

18 MS. CARMODY: Can I just ask a quick
19 question? Are utilities generally doing this or
20 is this something that you find that they're not
21 doing it and you're suggesting that they do it?

22 PROFESSOR DIVAN: The cost of service model is

1 not doing it.

2 MR. KALLOCK: And I'd add to that
3 utilities should be in terms of planning, really
4 calculating what the technical limits are for DER
5 hosting. The integrated capacity analysis in
6 California, they ought to be really be taking a
7 look at feeder by feeder, circuit by circuit
8 basis, what is the hosting capacity and back flow
9 could be turned off and do the analysis. But
10 that's something they need to consider before they
11 are overwhelmed with different resources.

12 PROFESSOR DIVAN: We work with a lot of
13 utilities now and most of the time you haven't
14 seen that they have the data to really be able to
15 do the analysis to understand what happens when
16 distributed resources are put on the system.
17 We've tried to help them and we've tried to work
18 with them fairly closely. But I think the way we
19 structure the solution that we've been talking
20 about is really to try to get some of the guess
21 work out of it. I think if you can understand
22 what your feeder looks like in terms of current

1 operation and if you have an idea of how much the
2 projected DR load is going to be to host the
3 capacity then you can at least from the most
4 dominate limit we can all agree has been voltage
5 and distribution feeders. I think our approach
6 has been that you can solve that problem as almost
7 an incremental way. So at the level of
8 penetration you have now you can come up with the
9 deployment level of the distributor solution and
10 as the penetration level increases you can keep
11 going back and adding to those places where the
12 voltages are now starting to become a little
13 unruly and you can-- so that's the fast forward as
14 to how you can at least get to higher levels of
15 penetration. That's how we've kind of been
16 working with high utility (inaudible).

17 MS. SANDERS: Yeah, I think what's
18 critical is to be really clear about what you're
19 trying to do. So what are your goals? So, the
20 reason I couldn't answer right away is because
21 California has its goals. We are doing this. So
22 our planning process needs to adapt and needs to

1 be able to handle this. So every utility has it's
2 planning process and where it becomes visible is
3 in the rate cases because that's where you get
4 recovery for distribution upgrades and it's based
5 on load growth. So every utility does planning
6 and that becomes transparent in the rate case
7 because that is where that is, to some extent. So
8 and, slash, return.

9 The integrated capacity analysis is
10 really helpful in streamlining interconnection.
11 So what are you trying to do with an integrated
12 capacity analysis? Do you want to apply an
13 analysis that gives values that then can speed
14 interconnect? At least that's our objective with
15 that. If your objective is to get more DER's in
16 the system and invest less in the wires then
17 you'll need to have capabilities not of doing
18 planning to get projects, because right now how
19 planning works and its opaque everywhere because
20 it's a utility process so we're working and we
21 talk all the time about here is a planning
22 process, here is what we do, here is why it's

1 different than transmission, this is how it works.
2 But rather than going in with your forecast
3 assumptions which then will bind based on your
4 voltage or thermal protection limits and say--
5 then it spits out a project. It says go put in
6 cap bait, go put in the new circuit, go do this.
7 What we need to do is insert the ability to
8 identify attributes that that piece of equipment
9 provides. So for example if you're binding on a
10 thermal you can say well it's really only this
11 way. You need more granular forecasting, you need
12 more granular planning. It's really only happening
13 in ten days out of the year for three hours. I
14 can't tell you when but those attributes then
15 collectively help guide the DER market for a
16 solution for that, so if that's an objective to
17 get DER's that help defer distribution resources
18 but coming with that though then is the need to be
19 able to see it, monitor it, control it, operate
20 it, maintain it, etcetera. So there is that trade
21 off there.

22 So it's a tough question and I think the

1 first step is just the visibility into what are
2 the different steps? How are load forecasting
3 done, you know the low growth forecasting? How is
4 it applied? That is what, what we're really
5 trying to help, you know, our state to understand
6 is how we actually do that. We've never had to
7 before except when we defend the rate case.

8 MS. CARMODY: And I think the
9 difficulty, and I don't think Maryland is the only
10 state, where you don't have an external
11 transparent planning process. So obviously the
12 utilities are planning. But it doesn't come up in
13 the six-month rate case, we've got very rapid rate
14 cases, yeah. So you're level of detail-- that
15 information doesn't come out so we don't have that
16 kind of planning. We do need to have that
17 planning in order to look at what is best on the
18 distribution transmission system in terms of using
19 those resources to help it run more efficiently.
20 But at the same time we also are dealing with the
21 external resources where the people are coming in
22 saying I need to interconnect and-- with community

1 solar or rooftop solar with whatever storage will
2 be coming on board and so you've got those issues
3 as well. And I appreciate your-- providing me
4 some things to take back.

5 PROFESSOR DIVAN: One thing to add to this if
6 I may. Because very few utilities I mean in
7 California and in Hawaii are the only one
8 attacking high levels of solar right now.
9 Everybody else is kind of thinking about solar or
10 in the early stages of it so the way that our
11 discussions have gone most of the time is, you
12 know, what else are we trying to do with voltage
13 control out here. Very frequently it turns out to
14 be demand management or CVR or something like that
15 and you know some of the commissioners are
16 starting to recognize CVR's as essentially being
17 grid side demand management of that.

18 So you now have a basis to kind of push
19 for things that are really good for society with
20 the assurance that as solar comes in this is not
21 going to be a stranded asset. So with the
22 majority of utilities we kind of use that argument

1 and I think we've had good luck with that as well.

2 SPEAKER: It's time.

3 CHAIRMAN COWART: Yes, it is time. This
4 has been an excellent discussion. I do want to
5 mention that people who still have some appetite
6 for this discussion the Smart Grid Subcommittee
7 was going to meet for breakfast tomorrow at the
8 restaurant at the Weston at seven before we start,
9 so we can have a little bit more reflection there
10 but can you join me in thanking this excellent
11 panel.

12 (Applause)

13 SPEAKER: Thank to you all and it's
14 great. An announcement about dinner. Yes.

15 (Whereupon, the PROCEEDINGS were
16 adjourned.)

17 * * * * *

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary
4 public in and for the Commonwealth of Virginia, do
5 hereby certify that the forgoing PROCEEDING was
6 duly recorded and thereafter reduced to print under
7 my direction; that the witnesses were sworn to tell
8 the truth under penalty of perjury; that said
9 transcript is a true record of the testimony given
10 by witnesses; that I am neither counsel for,
11 related to, nor employed by any of the parties to
12 the action in which this proceeding was called;
13 and, furthermore, that I am not a relative or
14 employee of any attorney or counsel employed by the
15 parties hereto, nor financially or otherwise
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21 My Commission Expires: November 30, 2016

22 Notary Public Number 351998