

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Friday, March 18, 2016

1 PARTICIPANTS:

2 JOHN ADAMS
Electric Reliability Council of Texas

3
4 WILLIAM BALL
Southern Company

5 ANJAN BOSE
Washington State University

6
7 MARILYN BROWN
Tennessee Valley Authority Board of Directors

8
9 MERWIN BROWN
University of California

10
11 CAITLIN CALLAGHAN
U.S. Department of Energy

12
13 PAULA CARMODY
Maryland Office of People's Counsel

14
15 PAUL CENTOLELLA
Paul Centolella & Associates

16
17 RICHARD COWART
EAC Chair

18
19 PHYLLIS CURRIE
Midcontinent Independent System Operator, Board

20
21 JOE DOMINGUEZ
Exelon Corporation

22
23 ROBERT ETHIER
Independent System Operator, New England

24
25 RACHEL FINAN
ICF International

26
27 CLARK GELLINGS
Independent

1 PARTICIPANTS (CONT'D):

2 ROB GRAMLICH
American Wind Energy Association

3

4 PATRICIA HOFFMAN
U.S. Department of Energy

5 KIRAN KUMARASWAMY
AES Energy Storage

6

7 MARK LAUBY
North American Electric Reliability Corporation

8 LOGAN LEE
Inside EPA

9

10 KEVIN LYNN
U.S. Department of Energy

11 MAUREEN MALLOY
ICF International

12

13 RALPH MASIELLO
Quanta Technology

14 DAVID MEYER
U.S. Department of Energy

15

16 PHIL MIHLMESTER
ICF International

17 JEFF MORRIS
Washington State House of Representatives

18

19 TIM MOUNT
Cornell University

20 CHELSEA PELLECCCHIA
ICF International

21

22 SONNY POPOWSKY
EAC Vice Chair

1 PARTICIPANTS (CONT'D):

2 ANNE PRAMAGGIORE
CommonWealth Edison

3

4 WANDA REDER
S&C Electric Company

5 PAUL ROBERTI
Rhode Island Public Utilities Commission

6

7 MATT ROSENBAUM
U.S. Department of Energy

8 HEATHER SANDERS
Southern California Edison

9

10 CHRIS SHELTON
AES Energy Storage

11 PAM SILBERSTEIN
National Rural Electric Cooperative Association

12

13 RAMTEEN SIOSHANSI
Ohio State University

14 SAMIR SUCCAR
ICF International

15

16 ROY THILLY
Independent

17 JEFF TURCOTTE
Independent System Operator, New England

18

19 GORDON VAN WELIE
Independent System Operator, New England

20 AUDREY ZIBELMAN
New York State Public Service Commission

21

22 CARL ZICHELLA
Resources Defense Council

* * * * *

1 P R O C E E D I N G S

2 (8:10 a.m.)

3 CHAIRMAN COWART: Good morning, folks.

4 Please take your seats and let's get going.

5 Following our panel discussion yesterday
6 afternoon and the extended discussion following,
7 we have had to adjust the schedule for this
8 morning a little bit. It's all going to work, I
9 think. We will begin where we left off yesterday
10 with Smart Grid Subcommittees and approval on the
11 storage paper.

12 Paul?

13 MR. CENTOLELLA: Rich, we're going to
14 start with Merwin Brown talking the distributed
15 storage paper, and hopefully people have had a
16 chance to review that, and that's coming up for a
17 vote in the full committee.

18 MR. BROWN: Actually, Carlos Coe was
19 supposed to be here doing this. He's the one who
20 led this effort. He had a family emergency at the
21 last minute and couldn't make it. I'm going to
22 try to stumble through this with his presentation,

1 so I'm not totally familiar with it.

2 What I'm going to do is give you a brief
3 overview of the project and the paper itself and
4 the recommendations, and then open the floor for
5 questions, comments, et cetera, and then I'd like
6 to take a vote on this, about approving the paper.

7 Let's have the first slide, please. Oh,
8 it is up there, sorry. The title is the
9 "Distributed Energy Storage White Paper." Let's
10 go to the next slide. This was a combined product
11 of the Smart Grid and Energy Storage
12 Subcommittees, a joint effort, as I said, led by
13 Carlos Coe. In a minute I'd also remind you who
14 in the working group was on this particular
15 effort.

16 Carlos has provided some summary here,
17 kind of background of the paper. One was the
18 definition of what "distributed energy storage"
19 is, for this purpose, and there are probably other
20 definitions out there, the one we used is "Energy
21 storage that is located at or downstream of
22 distribution substations." It includes behind the

1 meter applications, thermal energy storage, but as
2 you will see in a moment, we didn't really include
3 that in our analysis because of limited scope.

4 We ended up using electricity in and
5 electricity out as a further definition of the
6 scope that we were looking at, but in the paper,
7 there is an appendix that looks into thermal
8 energy storage as a distributed energy storage
9 resource.

10 I'm not sure why it has microgrids there
11 except I think energy storage in microgrids counts
12 in this definition.

13 The scope of the effort looked at
14 distributed energy storage in the context of
15 markets, the regulatory construct, I guess, being
16 able to interconnect distributed energy storage
17 into the distribution system or in the customer's
18 facility that is connected to the distribution
19 system.

20 We looked at the technology and its
21 applications of distributed energy storage
22 benefits, benefits from distributed energy storage

1 and codes and safety, and then in the appendix I
2 mentioned, it covers a broader subject of
3 distributed energy resources, including this
4 thermal energy storage that I mentioned earlier.

5 Then there are recommendations. The
6 main recommendations are in the document to DOE on
7 what we gleaned out of this study, and in the
8 appendix is a recommendation for some follow on
9 work that came to our attention while this project
10 was underway.

11 I want to give special thanks to Clark
12 Gellings, Paul Roberti, Ramteen Sioshansi, and Tim
13 Mount. There were a few other people who
14 contributed to this as well, and people who
15 provided edited comments. It was actually a
16 fairly good size working group in total. The real
17 kudos, I guess, goes to Carlos Coe for putting
18 this together.

19 I think it is one of the better papers
20 that has come forward from this group, and my only
21 claim to fame in this is I picked Carlos to lead
22 this effort, because I was supposed to do it, and

1 then I got appointed to Chair of the Energy Storage
2 Subcommittee, and felt I would divide my attention
3 too much, so I turned to Carlos and asked if he
4 would lead it, but I stayed with him and helped
5 him where I could.

6 I think this team did a great job, in my
7 opinion, of pulling this together.

8 Carlos used this particular graphic that
9 shows location of distributed energy storage
10 projects on a map of the United States, what was
11 known at the time, and I don't remember the date
12 but it's in the paper, it seems to me it was like
13 2014, the date on which this report was released,
14 and he used this really as an example of how much
15 distributed energy storage has grown. It has been
16 a fairly rapid penetration into the electric grid.

17 A little bit of background, I remember
18 when the Energy Storage Subcommittee was working
19 on an earlier paper on energy storage strategy for
20 North America. We were focusing on utility scale
21 energy storage -- excuse me, we focused on utility
22 scale storage because we felt distributed energy

1 storage was still a way behind, and wouldn't have
2 much significance for quite a while.

3 While we were working on that, it became
4 evident that things were moving fast in this area
5 of distributed energy storage, and in part, I
6 think, kind of drove this effort to do this study.

7 One of the mechanisms for doing this
8 study was a number of interviews of stakeholders
9 that would have something to with distributed
10 energy storage in one way or another. I happen to
11 personally be involved in most of these, so I have
12 some background, some idea what took place here.

13 It covers a pretty wide spectrum of
14 vendors and service providers, the distributed
15 energy storage utilities of various kinds, and
16 then some public agencies, government types, et
17 cetera. I think it covered a fairly broad
18 spectrum. It seemed to be a fairly rich resource
19 for pulling these recommendations together. I
20 would say it was probably the main driver for the
21 recommendations.

22 What weren't covered -- as I kind of

1 alluded to in the beginning, this thermal storage
2 wasn't included in our scope at this point, and
3 there were also not true energies, per se, but we
4 did get some information in a sort of personal
5 interview, if you will, or communications from the
6 automobile industry regarding using EV batteries
7 as DES, but that was not, if you will, an official
8 interview process.

9 The proposed recommendations are
10 summarized here more or less in title format. If
11 you have the paper handy, you might want to have
12 it in front of you, because it adds a little bit
13 of additional information on this. I guess I'll
14 go just a high level with this unless we need to
15 dig deeper.

16 One of the recommendations is that we
17 recommend DOE do what they can to enable the
18 access and tracking of the lessons learned from
19 projects and the market development activities in
20 distributed energy storage. I think that's fairly
21 clear what's being asked there.

22 Then there are three recommendations

1 here that sort of fall into a group, and it has to
2 do with model development. The first one is to
3 develop advanced market and cost based market
4 models for DES. This came out loud and clear in
5 the interviews, and by the way, it came out fairly
6 loud and clear in yesterday's panel, for
7 distributed energy resources that we really don't
8 have the mechanisms to understand the value of
9 these factors or elements being deployed into the
10 distribution system -- well, as far as that goes,
11 even its impact on the whole wide area
12 interconnection.

13 The second form of models here would be
14 to develop advanced modern grid physical models
15 for DES. This is in the context of putting them
16 in the distribution system and how that might
17 affect -- how the models could be used to design
18 the architecture, the infrastructure, et cetera,
19 to optimize the value of distributed energy
20 storage.

21 The third one is operational models that
22 can be used for operating the grid with

1 distributed energy storage in it, again, for
2 optimization, and for advanced controls in the
3 distribution system.

4 I guess the rest of these pretty much
5 fall into a category of what I'd loosely call
6 "codes and standards of safety." The next
7 recommendation was for DOE to look at existing
8 utility scale codes and standards, other codes and
9 standards, that exist now for distributed
10 generation, and to see how they apply to the
11 smaller scale distributed storage. In other
12 words, what can we glean from the existing codes
13 and standards that apply in the distributed energy
14 storage area.

15 Also, building on this is a
16 recommendation that DOE build or leverage its
17 unique role as an unbiased arbitrator with
18 technical expertise in the deployment of the DES.
19 Here again, the main focus was helping with this
20 thing of selecting the codes and standards going
21 forward that would best apply to distributed
22 energy storage.

1 The next recommendation, again in a
2 similar vein, is where needed, DOE assist in the
3 deployment of new standards and codes for
4 distributed energy storage. It is really in a
5 similar vein to the recommendation right before
6 that.

7 The last one is a bit different than the
8 rest of them, but it's a tried and true role for
9 DOE, which is develop technologies that increase
10 the performance, cost effectiveness, and safety of
11 distributed energy storage systems.

12 Those are the recommendations at a very
13 high level, and let's see what is next on his
14 slides. Let's open it up for discussion, and then
15 I recommend at least this paper be approved for
16 distribution by this committee. I might add there
17 are a few typos in here. We will get those
18 corrected. Other than that, I think it's prepared
19 to go. I'll open it for discussion, questions,
20 comments.

21 CHAIRMAN COWART: Chris?

22 MR. SHELTON: I would vote to approve

1 the paper today, so I will second the motion to
2 approve it. Merwin mentioned this is going very
3 quickly, so one of the things we realized is we
4 could get new information every month to make the
5 paper accurate, but then it would be out of date a
6 month later. We wanted to make sure we brought it
7 and got it out, and we can revisit this in
8 different ways going forward.

9 I just wanted to say that was a concern
10 of the committee, and I really want to applaud
11 Carlos' approach to doing the interviews, spent a
12 lot of time on the phone with people getting on
13 the ground input.

14 Again, that is all changing rapidly as
15 well, but that technique was very effective. I
16 would applaud that, and also a lot of feedback was
17 given on committee calls, and he incorporated it
18 splendidly. Thanks.

19 CHAIRMAN COWART: I will take it we have
20 a motion from Merwin and a second from Chris, and
21 we are now in discussion. Anything further?
22 Mark?

1 MR. LAUBY: Yes, thank you. I think it
2 was a very good paper. I feel a little bit like
3 the engineer, I can't change the laws of physics,
4 but here we seem to be circumventing them. I am
5 wondering if we might want to change that
6 sentence, theoretically circumventing the current
7 limitations dictated by the laws of physics.

8 MR. BROWN: Where is this?

9 MR. LAUBY: Number two, first sentence.
10 It is a game changer, no doubt about it, but as
11 the engineer said to the captain, maybe we can
12 circumvent them but we can't change them.

13 MR. BROWN: I need to look at the
14 context here. The people who wrote this know
15 better.

16 MR. LAUBY: I would change the
17 sentence. That's all.

18 MR. BROWN: I still haven't found it,
19 I'm sorry. Is it page two?

20 MR. LAUBY: Page six, Section 2.

21 MR. BROWN: Which paragraph on that
22 page?

1 MR. LAUBY: First paragraph, first
2 sentence.

3 MR. BROWN: I suppose the missing word
4 is "seemingly." (Laughter) It needs to be
5 corrected somehow.

6 MR. LAUBY: Appreciate it. The paper
7 is very good at laying out what are some of the
8 benefits of storage, distributed or otherwise, and
9 one of the challenges I saw, which I guess we
10 talked about yesterday, and I don't know if we
11 want to add a paragraph on this or not, I don't
12 want to put something in the spokes of progress,
13 but control and visibility, you do talk about
14 physical models here. There is not a lot of
15 material in the report itself about that, but I
16 understand you can probably pick that up in the
17 interviews and you didn't want to make it a real
18 techy paper.

19 The whole idea of observability,
20 controllability, which will increase the value
21 even more, I think is something to be thought
22 about, too. Other than that, I loved the paper.

1 MR. BROWN: I'm not clear. Are you
2 saying it's not in there or it's implied?

3 MR. LAUBY: Not that I could see.
4 Maybe someone can point it out to me. I didn't
5 see that aspect of it that we talked about
6 yesterday, good control and allow the dispatcher
7 either a DSO or ISO dispatch for balancing and/or
8 regulation.

9 For example, storage can be one thing at
10 one point in time, and then you could turn around
11 and use it for something else another time. You
12 have to have all those connected --

13 MR. BROWN: Yes, correct. I think,
14 judging from the conversations that went on, it's
15 in there. In spirit, whether or not it's in there
16 in writing.

17 MR. LAUBY: Understood, the spirit is
18 there.

19 MR. BROWN: Yes. If you require it, we
20 can put something in. My recommendation is if you
21 are okay with it, we can proceed with the paper
22 the way it is.

1 MR. LAUBY: Okay.

2 CHAIRMAN COWART: There is a suggestion
3 that comment could be put in the cover letter
4 without having to adjust the paper.

5 MR. LAUBY: I like that.

6 CHAIRMAN COWART: Can I make a
7 suggestion to deal with Scotty's problem, that if
8 we could just change the language, instead of
9 saying "theoretically circumvent the current
10 limitations," say "flexibly adjust to the
11 limitations dictated by the laws of physics."

12 MR. LAUBY: You are really able to take
13 advantage of the laws of physics, you can't change
14 them, you are putting them to work for you.

15 MR. BROWN: Yes. Have those words been
16 captured by our editors? Also, in order to make
17 sure it gets into the letter, your words, would
18 you mind sending a little note on those?

19 MR. LAUBY: Yeah.

20 MR. BROWN: Thank you. Any others? I
21 don't see any tents put in the vertical position.

22 CHAIRMAN COWART: Ready for a vote?

1 MR. BROWN: Call for a vote.

2 CHAIRMAN COWART: Those in favor of
3 accepting the paper as adjusted in one place,
4 please say aye. (Chorus of ayes.)

5 CHAIRMAN COWART: Any opposed? (No
6 response.)

7 CHAIRMAN COWART: All right. The paper
8 is approved.

9 MR. BROWN: Thank you.

10 CHAIRMAN COWART: Thank you, Merwin, and
11 thanks to the folks that put this together, Carlos
12 and the team. I agree, it's a very nice piece of
13 work.

14 MR. CENTOLELLA: I want to just briefly
15 summarize, if we can get that slide up, the other
16 things that have been going on in the Smart Grid
17 Subcommittee, and certainly invite the
18 participation of any others who would like to join
19 in the activities of the Smart Grid Subcommittee
20 as we go forward.

21 In addition to the distributed energy
22 storage paper that we just adopted, we have taken

1 up two topics to focus on for this year. The
2 first, you saw some evidence of yesterday, which
3 is this question of how to look at the evaluation
4 and integration of distributed energy resources.

5 So, over the last few months, we have
6 started by trying to establish a baseline
7 understanding of activities going on within DOE
8 already, so we have taken a look at some of the
9 activities going on in the Office of Electricity,
10 we had a briefing on the Grid Modernization Lab
11 Consortium, and the programs that are coming out
12 from that, including some of the foundational
13 programs, some of the work on valuation, some of
14 the work on architecture and control theory, all
15 of which is relevant to this question of you value
16 and integrate DER.

17 We had a very brief discussion, and I
18 look forward to hearing more about what's going on
19 in EPISA where they do have a project ongoing on
20 the valuation of DER as part of the QER 1.2, and
21 we also had a briefing on the new ARPA-E NODES
22 Project, which is looking at and has a series of

1 research projects looking at the creation of
2 synthetic inertial response, synthetic spinning
3 reserves, and synthetic ramping, using various
4 kinds of DER. There is a research program going
5 on there as well.

6 We have done that. We heard the
7 presentations yesterday of some of the folks who
8 are doing some of the leading thinking about how
9 to value DER and put it into the distribution
10 system, and we are really at a kind of next step
11 of figuring out what the committee can now
12 contribute to a dialogue of understanding
13 direction, potential gaps in DOE's current effort,
14 and begin to formulate some thoughts about
15 recommendations going forward of things that the
16 committee might suggest that DOE look at to
17 prioritize or supplement the significant ongoing
18 work that is there already. That is our next step
19 in that process.

20 The other thing that we have started
21 looking at are implications of this concept of the
22 Internet of Things, and what does that mean for

1 power systems.

2 A few months ago we had an initial
3 scoping discussion identifying some potential
4 areas of interest within the subcommittee, and
5 getting a better understanding of what's happening
6 in the field, looking at implications in terms of
7 interoperability standards, cyber security, and
8 what are the potential benefits to the power
9 system of being able to integrate a greater level
10 of connectivity of electricity using devices with
11 the way the power system is operating, and we are
12 targeting a potential panel at the fall EAC
13 meeting on that topic.

14 Now, I would add that at the leadership
15 meeting yesterday it was decided that we would try
16 to have a panel on transactive energy at the June
17 meeting which I guess our subcommittee will at
18 least be contributing to how that is put together,
19 so we are going to have a call next Thursday at
20 2:00 to replace what would have otherwise have
21 been our normal call yesterday, and in which we
22 will talk about that panel and then pick up on

1 these other topics at our next meeting in April.

2 That's the activities. We would really
3 welcome participation, both on next Thursday's
4 call, if people are particularly interested in
5 transactive energy, and broader participation in
6 the subcommittee as we go forward on these two
7 topics of valuation and integration of DER and the
8 implication of the Internet of Things.

9 I'm going to stop there and see if there
10 are any questions. If there aren't, we can
11 certainly pick up this discussion later in future
12 meetings and at the breaks.

13 CHAIRMAN COWART: Thanks, Paul. One
14 thing that I want to emphasize is that we have
15 only a short time period to plan for the June
16 meeting, and therefore, I will encourage the
17 subcommittee to get right on it.

18 MR. CENTOLELLA: Well, we're going to
19 have the call next Thursday, and people who have
20 really been thinking about transactive energy, I
21 would encourage you to join us, and we will see
22 what we can do about putting together a panel,

1 even though this wasn't initially on our agenda,
2 but we will do our best to help the committee put
3 something together.

4 CHAIRMAN COWART: Thank you. Chris?

5 MR. SHELTON: There is so much overlap
6 between the panel yesterday, distributed energy
7 storage discussion, what the Smart Grid
8 Subcommittee is doing. We are talking about
9 transactive energy and we are talking about the
10 Internet of Things. Yesterday we were talking
11 about distribution level granularity, and then
12 later today we are talking about we have issues of
13 market jurisdiction or regulatory jurisdiction
14 that overlap all of that.

15 I enjoy these topics, but it seems like
16 we are all over the place, and I feel this strong
17 desire that we somehow pull it altogether or we
18 hear from someone who is pulling it altogether. I
19 don't know as we think about the panels if we need
20 some panel that sort of tries to pull everything
21 together, like what are the different views out
22 there about how all this fits together in 15

1 years, right?

2 So, frameworks, something like that, and
3 maybe DOE is doing that, so maybe it makes sense
4 to have DOE come and share a vision, a cohesive
5 vision. I don't know. It's hitting me as every
6 topic we have had on this agenda seems to have
7 this, and it's not just a program vision from DOE.
8 I'm talking about actual work product that is out
9 there.

10 CHAIRMAN COWART: Thank you. Audrey?

11 MS. ZIBELMAN: Hi. Good morning,
12 everybody. Sorry I missed yesterday, we were in
13 sessions. I agree with Chris. We had actually a
14 good conversation last night at dinner about maybe
15 moving the dialogue along, with the idea that what
16 we are moving towards obviously, what we are
17 thinking about, you have transactive energy at the
18 distribution level with the role of the platform
19 provider is a manager of load, and that market
20 needs to be essentially coupled with the wholesale
21 market so that you are really creating a seamless
22 integration from the high side to the low side of

1 the meter.

2 I was suggesting that one of the things
3 we might want to start introducing into our
4 vernaculars is this concept that they use in
5 Europe about market coupling, and that really what
6 we effectively are going to be talking about in
7 the U.S. Is the fact that you are going to want
8 to couple the distribution markets, which are
9 going to be dynamic around local reliability as
10 well as in our case load optimization with the
11 wholesale market, using LMP, and then DLMP as sort
12 of the basis to make sure that you're not over
13 procuring or under procuring, and you are
14 essentially optimizing in the end.

15 I think a panel that talks about market
16 coupling -- I had a recent conversation with some
17 folks in Europe who are really talking about the
18 same thing. It would be an interesting idea of
19 talking about DER and pricing DER, but really
20 talking about what is this future market, and that
21 also, I think, will help clarify some of the
22 jurisdictional issues that folks are starting to

1 grapple with, that I heard Cheryl mentioned
2 yesterday.

3 I don't think it's a gray area. I just
4 think it's an undefined area, and that we in this
5 group could start maybe defining the role of the
6 retail distribution provider versus the wholesale
7 transmission provider, and how these things can
8 work.

9 I would welcome a conversation like
10 that, because obviously it's top of mind for us.

11 MS. HOFFMAN: I guess I would just add
12 to that, in order to get what you are going after,
13 Chris, I think we have to pick a region or pick an
14 area that we can pull these pieces together, so
15 the lab consortium and grid modernization
16 activities, recognizing all the regions are
17 different.

18 They are starting from a different
19 point, so integration, whether you are talking
20 transactive loads or how people are looking at it
21 is going to vary, so that's why it also is so
22 scattered because if we want to have a cohesive

1 conversation around this, I think we have to pick
2 a region and start building it up and doing a
3 panel session saying how does this capability,
4 this tool, fit into this current structure, and
5 look at different structures.

6 So, that is something to think about as
7 well.

8 MS. ZIBELMAN: Are you volunteering for
9 it?

10 MS. HOFFMAN: Yes.

11 MR. CENTOLELLA: Just to respond a
12 little bit, Chris, I mean you heard some of this
13 yesterday in some of the presentations about
14 thinking about a different architecture for the
15 grid that involves some level of semi-autonomous
16 distributed control, some level of local markets,
17 and some amount of continuing dispatch on a
18 security constrained basis of existing resources.

19 I think one of the real questions for
20 DOE is how does all of that fit together, both in
21 terms of federating those different activities,
22 and also what is the right balance.

1 I think these are questions that we
2 don't yet know the answers to. I think that was
3 part of our rationale for looking at distributed
4 energy resources, understanding that we are also
5 talking about control theory, we're talking about
6 architecture, we're talking about markets, and how
7 do all those things fit together.

8 Welcome your participation on these
9 questions as we begin to look at them further.

10 MR. SHELTON: Again, my comments were
11 focused on content of future panels, right, and
12 trying to pull this together. I would say one
13 thing we keep hearing from the market, and if
14 we're representing the market to DOE, then what
15 the market wants is cohesion of some kind, you
16 know, Pat's comments about you have to narrow it
17 down probably, you know, that makes sense. You
18 have to confine some dimension, every dimension
19 can't be open.

20 MR. CENTOLELLA: Okay.

21 CHAIRMAN COWART: Anne?

22 MS. PRAMAGIORRE: Thanks, Richard.

1 Chris, I completely support your comment. I think
2 that was the discussion we were having at dinner
3 last night, what does the big picture look like.

4 The question I posed to the panel
5 yesterday was what does a roadmap look like, what
6 are the critical elements of a roadmap. I think
7 one of the things in previous discussions we have
8 talked about is the fact there is so much
9 fragmentation in this industry, states are doing
10 different things, regions are doing different
11 things, RTOs are doing different things.

12 I think we are never going to get past
13 the political issues of trying to create cohesion,
14 but we have to do it from an influential
15 standpoint, and that is why I think models that
16 work are important, and I think to the extent if
17 we can put together a roadmap, and it may be there
18 is a technical roadmap and there is a policy and
19 regulatory and economic roadmap as well, it seems
20 to me -- those of us out in the industry who are
21 trying to sort of actually operationalize all
22 this, you know, we are looking for that, where is

1 the model, what's the roadmap look like.

2 I think something in that framework
3 might be helpful, too, but I agree with your
4 comment.

5 MR. CENTOLELLA: Paula?

6 MS. CARMODY: Thanks. Sort of a caveat
7 that I would have with these discussions, and I
8 agree with the thrust of the discussions, but as
9 you are looking to the models, the roadmaps, the
10 region, to acknowledge that the reality is that
11 there isn't a singular kind of region. So, if
12 you're building it up, even the notion of
13 coupling, you know, kind of the distribution
14 markets or wholesale market, might be easier to do
15 in the State of New York with the ISO in New York
16 because there may be more cohesion not only
17 technical but the policy level. It does not exist
18 in many parts of the country.

19 I think you want to be careful in
20 choosing -- you may need eventually to look at
21 multiple models, how does it work in kind of a
22 cohesive kind of area, and what do you need to do

1 from a technical point of view in areas where
2 you're not going to have that policy base, because
3 I can tell you, at the state level, whether it's
4 blurred, gray, there are certain disconnects that
5 may not be technical, may not be operational, but
6 they are going to be interference, and you're
7 trying to figure out how do you work in that kind
8 of messier area.

9 It's not a cautionary note to say don't
10 go down that path, but I think you want to kind of
11 take that into account that those blurred lines
12 are going to kind of be there, so how are you
13 functionally going to get it.

14 I think frankly the bulk of the country,
15 even as you are moving, certainly with the markets
16 we were talking about yesterday, there has been a
17 tremendous kind of change over the last couple of
18 years of wholesale markets. You still don't want
19 to just overly that notion because technically
20 things look like they're feasible. I think at the
21 ground level there are going to be some
22 interruptive kind of factors, I think the most

1 helpful thing is to try to figure out how do you
2 do this but in a messier environment. That's my
3 only comment.

4 CHAIRMAN COWART: Audrey?

5 MS. ZIBELMAN: I'm not doing a rebuttal.
6 I agree that because we don't have uniform
7 policies and while we have been aching for an
8 uniform approach and non-segmented industry, it's
9 not going to happen, so we shouldn't even waste
10 our time thinking about it.

11 What I was thinking about is we are
12 certainly focusing on optimization, and I think we
13 could start with that as sort of the objective,
14 and certainly I am happy to talk about our roadmap
15 and how we are thinking about it, and then maybe
16 have other folks talk about so, how do you do
17 this, where you have not a single state ISO, where
18 you might have an ISO serving multiple states,
19 some of which have restructured, some haven't, how
20 does that work.

21 How does it work in an area where there
22 is no restructuring, and you have vertically

1 integrated utilities, because the physics will
2 remain the same. It's just the operating
3 characteristics and the actors may change. I
4 think that would be a useful conversation.

5 Most states, I would think, are looking
6 increasingly -- at least when I go to NARUC -- at
7 the reality of increasing levels of distributed
8 energy resources and the implications that means
9 to the system. So, thinking about the policies
10 that follow from that may be a good approach, but
11 certainly I would set New York up as one approach,
12 not the approach.

13 CHAIRMAN COWART: All right. I see we
14 have a conversation going here. Tim and then
15 Carl, and then I think we may need to move on to
16 the next topic.

17 MR. MOUNT: Tim Mount, Cornell. I'm a
18 little bit nervous of a roadmap. I think there
19 are a number of new players that may well enter
20 the market, and we don't want to exclude them.
21 I'm very nervous about the status quo, keeping
22 things going the way they are, and just making

1 very small incremental improvements as opposed to
2 looking at things particularly on the demand side.

3 I think there are opportunities to have
4 a genuine two-sided market which would be very
5 different from the type of market that we have at
6 the moment.

7 MR. ZICHELLA: In keeping with this idea
8 of trying to find some sort of commonality, it
9 seems like what we might be able to do is to
10 identify best practices in the various places,
11 wherein as Audrey just described, situations that
12 are different from each other, whether you have
13 multi-states, single state, or areas that don't
14 have organized markets.

15 The physics will be the same, but there
16 will be best practices, I think, that we can learn
17 from. New York may not be the example, but I
18 think speaking from California, a western
19 perspective, I think there is a lot that can be
20 learned as entities like New York take these
21 situations from the theoretical into the
22 practical. They are actually doing a lot of this.

1 We can learn a great deal from how they
2 are approaching some of these problems. They are
3 not that dissimilar regardless of the construct
4 you are operating in, and to learn best practices,
5 I think, would be very helpful, and we're looking
6 at distributed system operator constructs in
7 California as well. I just wanted to point that
8 out.

9 If we could put our finger on the common
10 themes, the things that could work in almost any
11 setting, that would be a pretty useful outcome.

12 MS. HOFFMAN: I was going to say I
13 thought we did something similar to this when we
14 were looking at energy storage. We said how do
15 you value energy storage with a vertically
16 integrated kind of region. How we looked at
17 energy storage in a competitive market region.

18 I think we can characterize the
19 different types of regions and then start thinking
20 about what would be the best practices, roadmap,
21 core competencies, you know, building blocks in
22 each of those areas, and then take the lessons

1 learned from New York as just a case study, and
2 look at a couple of case studies, it might be a
3 way to start pulling this conversation together a
4 little bit more.

5 CHAIRMAN COWART: All right. Thank you,
6 Paul.

7 MR. CENTOLELLA: Thanks for all the
8 input and discussion. This is great.

9 CHAIRMAN COWART: We are ready now for
10 the report from the Storage Subcommittee. I
11 think, Merwin, you are up again.

12 MR. BROWN: Today we have reports from
13 two working groups, one of them on the white
14 paper, on the high penetration energy storage
15 question, what happens if we get high penetrations
16 of energy storage, what happens to the electric
17 grid, what does that mean, good, bad, indifferent,
18 and particularly what kind of gaps need to be
19 closed, particularly technological, because that's
20 what we would like to make recommendations to DOE
21 about.

22 The second work product being worked on

1 is the biennial energy storage assessment. That
2 one is required by law/legislation, every two
3 years. The leads on this, I'm going to introduce
4 in just a moment, but before we do that, last
5 night at dinner, the continental plate shifted
6 somewhat on this.

7 Also, there is another legislative
8 requirement that this subcommittee and therefore
9 the full committee put out also a five year
10 strategic plan that is given to DOE on what they
11 should be doing or what we think they should be
12 doing in energy storage.

13 That is due in 2017. By the way, the
14 following year, there would be another two year,
15 so that would be three years in a row there would
16 be a deliverable required by the legislation.

17 Maybe we need to do some efficiency
18 moves here. They all have their minuses and their
19 pluses. One that we are looking at right now
20 would be to go ahead and take the activities that
21 we are working on right now, that would be the
22 biennial assessment that is ongoing, and you will

1 hear more about it in a minute, and also the high
2 penetration energy storage effort, both of those
3 could reveal some guidance to us, and therefore to
4 DOE, on what could be a five year plan.

5 We would attempt to do those
6 simultaneously now, the five year plan and the two
7 year evaluation. The issues that crop up, one,
8 the target date for the two year plan for now is
9 to get it before this committee in September. That
10 is not that far off. In order to get approval
11 within this year.

12 There is also an alternative -- the
13 issue is can we do a five year strategic plan in
14 the same period of time and have both of them on
15 the table in the September meeting.

16 If we can't, there are alternatives.
17 One of them is, and we have done this in the past,
18 we could have a later convening of this group
19 through a WebEx for specifically the purpose of
20 looking at and potentially approving those two
21 documents, say December, January, February,
22 something like that, and still, I think, be timely

1 the things we would like to do is to have a panel
2 -- we have talked about having a panel of people
3 in the industry trying to make energy storage
4 work, and have run into frustrations, both at the
5 utility scale and the distributed energy scale.
6 We thought that would be a good place to start to
7 begin to get ideas of where the gaps are, where
8 the holes are, for us to be able to offer some
9 projections into the five year time frame.

10 If we move up the schedule for the five
11 year plan, it means we need to move up the
12 schedule for the panel, and June is probably the
13 best date for that. Two problems with that. One,
14 there have already been identified a number of
15 things for the June meeting, which means something
16 would have to be displaced, and secondly, we would
17 have to scramble to get together the panel, find
18 out who would be on it.

19 The former issue might be the greater
20 problem of the two, I don't know. I just put that
21 in your minds as we hear the updates on these two
22 work products. At the end, if there is any

1 advice/guidance going forward, we would appreciate
2 that. I've hopefully described our situation here
3 and what I'm trying to do with this.

4 With that, on our agenda, the first item
5 is Chris Shelton, to bring us up to date on the
6 High Penetration of Energy Storage Working Group.

7 MR. SHELTON: Sorry, I just got this
8 update. I wasn't at dinner. (Laughter) This is
9 a real time conference, sorry about that.

10 MR. BROWN: Surprise. (Laughter)

11 MR. SHELTON: A quick update here. I
12 know we are trying to compress the time a little
13 bit. The High Penetration Energy Storage work
14 product, wanted to give a quick update. You all
15 were here for the panel. We had a panel at the
16 last session, and then after that panel, we had
17 another working session, and then this year, we
18 also had a working session online, virtual, video
19 working session, and we reviewed all the prior
20 work that we had done and that we had received
21 from various parties, including the comments from
22 the panel.

1 We had the minutes from the panel
2 discussion. We reviewed and boiled down the
3 different perspectives that were coming out of the
4 panel that we had at the last in person EAC
5 meeting.

6 We discussed finalizing the drivers for
7 candidate scenario's, I'm going to talk a little
8 bit about that, and we reviewed a first draft of
9 the outline. We have another working session
10 today. It is across the street. We're going to
11 explore and reset the given's that we started
12 with.

13 We are going to choose base scenarios
14 that we are going to use to illuminate the high
15 penetration of storage cases, review the draft
16 outline and actually launch work assignments here,
17 and we are targeting to have the final draft in
18 the second half of this year. The initial target,
19 we will have to incorporate it into everything we
20 just heard from Merwin, and likely would be
21 approved in the spring of 2017 at this current
22 pace and given the other constraints.

1 throughout the system.

2 That's the idea. I won't read this.

3 The idea of encouraging DOE to take this

4 exploratory approach, so what we have proposed is

5 to do some scenario's so that we are not

6 prescribing one way to look at it, or one set of

7 implications. We're going to do some scenario

8 thinking.

9 Just to tease out here for the

10 committee, some ways that we are looking at making

11 the scenario's, we are just using simple 2 by 2s,

12 two independent variables, that we think may

13 define different futures. Things up here in

14 quote, this is all draft work product. I'm just

15 trying to give you a quick way to think about what

16 we are talking about.

17 We could have the dimension of whether

18 this is a strongly policy driven future or a

19 market driven future. On the other dimension,

20 high penetration of variable renewables or

21 moderate level. These might point out different

22 archetype futures, and then we can explore what

1 the role storage will be playing in those futures.

2 Here is another set that we have talked
3 about. We set the policy dimension, we have
4 locked that one in, but we are looking also at
5 loose integration versus high control visibility
6 and integrated planning, right. You can have a
7 very high touch environment or a loosely
8 integrated model.

9 What we found is these really resonate.
10 I mean we challenged ourselves to do the 2 by 2
11 first, and then we saw examples already in the
12 marketplace that represent this. I mean you can
13 see a highly policy driven approach to energy
14 storage that is loosely integrated, SGIP in
15 California. A lot of storage got deployed, but
16 there is not a ton of control and visibility of
17 that storage, it's just out there.

18 Or if you look at something that's
19 market driven and highly controlled and visible,
20 it's not storage but it's a model that represents
21 what could happen with storage. You see in the
22 upper right-hand quadrant, it is like PJM's demand

1 response, where they have visibility, they have
2 control, they have verification, it is playing
3 throughout the value chain, not just on the demand
4 side but throughout the whole value chain, and you
5 can also see the implications of that are what we
6 just saw in the courts around the DR case.

7 We want to envision that in relation to
8 storage. What we will do is pick probably three
9 scenarios, either from this 2 by 2 or the other
10 one. We are going to nail that down today. Then
11 talk about pathways, which will feed into a five
12 year thinking perhaps for a five year paper that
13 Merwin mentioned.

14 In terms of a draft outline, we really
15 want to frame the comparison or the gaps here
16 between the modeling of storage and the modeling
17 that had been done in the past on renewables, and
18 see what the gaps are, and maybe use that as a
19 very instructive comparison as to why we really
20 should do this kind of work, and we will define
21 key questions that we might suggest DOE consider,
22 then we will look at the drivers and scenarios

1 that we just talked about, and then we will direct
2 DOE to certain potential modeling and top five
3 areas of focus, so it is meant to be very quick
4 hit. We don't expect it to be a long work
5 product. That's it.

6 Any questions or comments or direction
7 on that?

8 CHAIRMAN COWART: Any questions? By the
9 way, I think the 2 by 2 organizational approach
10 looks really promising.

11 MR. SHELTON: Good, thank you. At
12 first, I think we talked about what exactly --
13 Merwin suggested it, at first we were really, but
14 it is really resonating. That's great.

15 CHAIRMAN COWART: Okay. If there is
16 nothing further, the meeting is this afternoon,
17 right?

18 MR. SHELTON: Yes. Thanks.

19 MR. BROWN: I want to thank Chris and
20 his company also for hosting us. This is actually
21 very valuable. This kind of work, scenario
22 planning, is very difficult to do over the phone.

1 Its valuable. Thank you.

2 Next up is Ramteen on the Biennial
3 Energy Storage Assessment.

4 MR. SIOSHANSI: All right. Just to give
5 a quick update on the biennial storage program
6 assessment, Merwin already mentioned, I guess, the
7 timing issue that has come up with the two
8 statutory requirements.

9 One is that every five years, we are
10 supposed to develop a five year sort of strategic
11 plan with goals for DOE's energy storage RD&D
12 programs, and every two years, we are supposed to
13 do in some sense, I guess, more of a backward
14 looking assessment of how DOE is doing in meeting
15 its goals.

16 So, in terms of what the recent work
17 products have been, 2012, the two requirements
18 lined up, and there was a single product that met
19 both of the requirements, and then in 2014, we
20 produced the biennial assessment, and per the time
21 line, we are now in 2016, and another biennial
22 assessment is due, and then as Merwin said, if we

1 do things by the book, in 2017, there is a five
2 year strategic plan and goals that needs to be
3 produced, and then in 2018, we get to do another
4 biennial storage assessment.

5 Obviously, there has been conversation
6 about combining some of these to reduce the amount
7 of work and I'm not sure how useful an assessment
8 in 2018 is going to be, if in 2017 we're giving
9 DOE new goals and strategic plans. Maybe they
10 will do what we tell them to do in one year, and
11 then we can give them a pat on the back for that.

12 Just wanted to mention a few changes in
13 terms of what we are doing with this year's
14 assessment compared to what we did in 2014. One
15 is we are trying to sort of simplify and
16 streamline the assessment this year compared to
17 what we produced two years ago.

18 The 2014 assessment, I felt and Merwin,
19 I hope you agree, and other people that I have
20 spoken to agree, we went into a lot of detail
21 recapping what DOE's storage goals and strategy
22 are, and we probably don't need to spend 10 or 15

1 pages telling DOE what it is doing, it hopefully
2 knows what it is doing.

3 In terms of the assessment, I think we
4 made the mistake of burying recommendations
5 throughout the text as opposed to just being
6 succinct and having a one or two page executive
7 summary with the recommendations up front, and
8 then if necessary, have follow up text that
9 provides more detail or context for the
10 recommendations that are provided. I think there
11 is something to be said for brevity.

12 The other thing that we are doing is
13 we're trying to -- we are doing outside
14 interviews. The interviews are with what are
15 termed here "users and implementers of DOE's
16 storage program." The thinking behind this is
17 that there may be other people with useful
18 information that would be good to go into this
19 assessment.

20 In terms of the types of interviewees,
21 I have just listed up here some of the categories
22 of interviewee's that we have identified, and then

1 we have gone and actually filled in organizations
2 and the names of people within organizations
3 associated with these categories.

4 This is sort of supposed to represent
5 the range of people in organizations that would
6 either be carrying out DOE's storage mission or
7 would be a direct beneficiary or user of the
8 research development and deployment programs.

9 In terms of our plans or the steps we
10 are going through, the first two, we have done. I
11 have constricted people to work as sort of the
12 core working group, and as I said, we have put
13 together actually a list of organizations and
14 names and alternate organizations and names
15 associated with those different types of
16 interviewee's.

17 We are currently in the process of
18 scheduling and conducting interviews. I think we
19 have done on the order of about six of these now.
20 We have another one on Monday. I can't remember
21 if we have others next week.

22 Anyway, they are continuing the pace.

1 My feeling is that by and large the overwhelming
2 majority of these, there has been very good
3 feedback, and we have gotten comments on things
4 that I would not have thought of without talking
5 to the people that we have.

6 Once we have done that, we will probably
7 talk to DOE personnel to sort of get some feedback
8 on some of the findings that we came up with in
9 the interviews, and then we will proceed to
10 discussion amongst the working group members,
11 input from the subcommittee on what our assessment
12 and recommendations will be, draft and revise the
13 report, and then submit the report with September
14 as being for me the gold deadline.

15 As Merwin said, the main reason for that
16 is I firmly believe that a lot of the feedback
17 that we are getting in the interviews will not
18 necessarily be as pertinent if we wait until 2017
19 to put this out.

20 I want to get this out as soon as we
21 can, and of course, getting it in September means
22 we also meet the statutory requirement, which is

1 probably not a bad thing.

2 As Merwin said, right now the thinking
3 is we are going to do this, having in mind that if
4 we get the types of feedback that we want to be
5 able to combine the five year strategic goals in
6 this report. We will kind of play that by ear and
7 see if we feel that we have the feedback that we
8 need to be able to do that. That way, we reduce
9 the number of work products that we have to
10 produce.

11 With that, I'm happy to take any
12 questions, comments, or ideally, agreement.

13 CHAIRMAN COWART: Any questions or
14 comments? Paul?

15 MR. ROBERTI: Just briefly. It strikes
16 me that doing an assessment of the program today
17 is a different exercise from doing a projection of
18 what goals should be five years out and suggests
19 there may be different sorts of people who you
20 should be talking to, different types of input you
21 should be getting. I'm just curious of how you
22 are balancing the two.

1 MR. SIOSHANSI: The answer is we are not
2 balancing that because this just came up last
3 night. (Laughter) I will say we have sort of a
4 standard list of questions that we go through in
5 these interviews, and I think a number of them get
6 towards what the interviewee thinks DOE is doing
7 well or if the interviewee feels things should be
8 prioritized in a different way than they are, or
9 if there are developments that he or she sees in
10 the industry that DOE should be getting ahead of.

11 I think we're getting a little bit of
12 that. We probably need as a working group to get
13 together and have a quick conversation as to
14 whether we want to (a) change the interview
15 questions, and then (b) supplement the list of
16 interviewees, if we don't feel we are getting the
17 right type, or if we are not getting the right
18 type of people.

19 MR. ROBERTI: It just occurs to me that
20 this is a very dynamic field and the chemistries
21 are changing, the players are changing. As you
22 think forward, you may need to expand a little bit

1 what you might otherwise have done.

2 MR. SIOSHANSI: Yes. Billy?

3 MR. BALL: Just a practical question,
4 when you started, you talked about the two and the
5 five year, and you're going to have these things
6 one after the other each year, but as I listened
7 to the further conversation, I mean is there
8 really anything you can do about that?

9 Especially with Paul's question, it
10 almost sounds like we are kind of locked into
11 having to fulfill the two year item this year, and
12 there is probably not time or it doesn't sound
13 like it can be easily combined with the five year
14 item, which even if you did, doesn't seem to
15 resolve having to do the two year item again the
16 following year. Is there really a way to make the
17 schedule easier or is it just the frustration that
18 it is?

19 MR. SIOSHANSI: Well, as far as making
20 it easier, I think mathematically because five is
21 not divisible by two, we will have this issue
22 every 10 years. We can always ask the Congress to

1 change the five to a number divisible by two.

2 (Laughter)

3 CHAIRMAN COWART: When I was at the
4 podium -- sorry for going out of tent order but I
5 think it's relevant to the question and being on
6 the committee -- Merwin mentioned it is due in
7 2017, the five year, right. That does mean,
8 unless I'm missing something, it could be resolved
9 in the spring, right, so then we could take the
10 high penetration activity, take that paper and
11 feed it back into the five year, and do those in
12 parallel. This is all happening in real time
13 here.

14 MR. BROWN: Can we take this particular
15 discussion and I'll handle it at the wrap up here?
16 If that is okay with everyone, and go back to
17 specific questions for Ramteen on the two year, if
18 that's okay.

19 CHAIRMAN COWART: Carl?

20 MR. ZICHELLA: Just a comment. Having
21 done some of the interviews, I just wanted to say
22 I think some of the responses are very

1 prospective, so they do lend themselves into
2 looking ahead, especially questions that relate to
3 what might you be doing differently or might you
4 add to the list kind of questions.

5 The conversations that flowed from those
6 were very illuminating, I thought. I think it is
7 unfortunate that they stack up the way they do,
8 but I think we have been somewhat lucky in that
9 the questions Ramteen put together did kind of
10 head us in a more forward looking discussion. It
11 wasn't all retrospective in how we looked at this.

12 I do think there is some pretty good
13 diversity among the people we interviewed. I take
14 your point, Paul, we may want to add some others.
15 I do want to say having been part of those
16 interviews, I thought they actually do help us, I
17 think, to the next level, too.

18 MR. SIOSHANSI: Yes. Some of the
19 questions are backward looking in the sense of
20 like do you think DOE sort of hit the goals
21 correctly in terms of what it has done, in terms
22 of implementing its storage RDD&D programs, but

1 some are forward looking in the sense of, for
2 instance, asking storage developers what do you
3 see as developments in the energy storage sphere
4 that DOE should be supporting or paying attention
5 to, or is not adequately addressing, or you know,
6 otherwise do you think DOE is doing a good job of
7 getting ahead of things that you see developing in
8 the industry.

9 That's an example of a lot of these
10 interviews, getting both backward looking and
11 forward looking information from the people that
12 we have spoken to.

13 CHAIRMAN COWART: All right. Thank you.
14 We need to move this along, Merwin.

15 MR. BROWN: Thank you, Ramteen and
16 Chris. I think you are doing great jobs. You
17 have taken on some herculean tasks here, I think,
18 particularly as of late last night.

19 To make some clarification again,
20 particularly stimulated by Billy's question, one,
21 this year we are supposed to produce a biennial or
22 two year post-review of what DOE has done, and

1 then next year we are supposed to create and
2 submit as a committee a five year looking forward
3 plan, and then the next year, we have another two
4 year biennial. That just intuitively doesn't seem
5 to make the best use of our time.

6 We had a number of options, but the one
7 that seemed to make the best use of our time and
8 the most use to DOE, I think, was to try to move
9 up the five year plan to this year, and combine it
10 with the effort on the two year review document.

11 We did that for 2012, I believe it was.
12 It presents some issues, the biggest one is can we
13 do it, sort of adding this new task in the middle
14 of what we have been doing. I think as you have
15 heard, we are fairly optimistic we can do it for
16 various reasons, and it may be we just need to
17 add, for example, to the list of people being
18 interviewed. I leave that up to the capable hands
19 of the working group to do that.

20 Also, remember the interviews are not
21 the sole source of either the evaluation for the
22 two year period or for the strategic plan. It is

1 input. It is up to us to come up with going
2 forward.

3 We are going to try to do this all by
4 September. Plan B, we may have to put the review
5 from this committee off until later by a few
6 months and do it in an outside WebEx type meeting.
7 I would prefer not to do that, but that is Plan B.

8 Plan C, if we run into problems, we
9 would need to move it into next year, both of them
10 perhaps, or maybe we could go back to the not so
11 good method of doing them separately. I don't
12 want to talk much about Plan C.

13 The other issue that we need to take up
14 in discussion with the leadership team soon, is to
15 have a panel in June that we hopefully can put
16 together that I feel would be pretty important and
17 critical, particularly for the five year effort,
18 of having people come and tell us what their
19 experiences have been at both the utility scale
20 and distributed scale storage. I think it is one
21 good way of seeing where there are potential gaps
22 that DOE might be able to help fill.

1 I guess what I'm going to say is that's
2 the plan, if anyone around the table here has any
3 questions or other advice, I'm open to it. That's
4 the plan going forward. Anyone have a question or
5 to say about that?

6 One last thing I'd like to say, I like
7 Ramteen's style, it's very succinct, to the point,
8 but I would like to make one clarification
9 amendment to one statement. He said we will tell
10 DOE what to do. I think it is better said that we
11 will tell DOE what we think they should do.
12 That's more in the tone of a recommendation.

13 With that, I think I'm done.

14 CHAIRMAN COWART: Mr. Secretary, you're
15 excused. (Laughter) Now the Power Delivery
16 Subcommittee report. Gordon?

17 MR. VAN WELIE: Good morning, everyone.
18 I'm going to do a very poor imitation of David
19 Till. In fact, I don't think I could do an
20 imitation of David Till.

21 I have two items to report on. The
22 first was the value of our paper, which has been a

1 work in progress now for just under a year, I
2 think. David uses "As nearing completion" at this
3 point. I have seen an earlier version of the
4 paper. I think it's in really good shape. I
5 think he wants to put the finishing touches on it
6 through a Webinar fairly soon. I think his goal
7 is to try to get this done by the June meeting.

8 Any questions on that? (No response.)

9 The other item that I wanted to just alert you to
10 is that there has been a discussion about some
11 future work products, one of the topics that has
12 come up is a look at high penetration of electric
13 vehicles.

14 There has been some discussion that this
15 was looked at by the committee about five years
16 ago, but I think the consensus view was the world
17 has moved on substantially in the last five years,
18 and it might be a good thing to look at this issue
19 again.

20 I think the last time the committee
21 looked at it, and I know the ISO has looked at
22 this issue about five or six years ago as well, it

1 was very much viewed as being sort of a
2 distribution system issue. The thing Ake had
3 raised was that he thought there might be an
4 opportunity to think about from a policy point of
5 view the connection between sort of moving towards
6 a higher penetration of electric vehicles and the
7 policy implications in terms of supplying
8 renewable energy to those vehicles, so there is a
9 grid implication there as well.

10 It also struck me listening to
11 yesterday's discussion around distributed energy
12 resources that there is obviously a very strong
13 connection there and the world has moved forward
14 dramatically in the last five years with regard to
15 DER.

16 I think the committee hasn't taken a
17 final decision or the subcommittee hasn't taken a
18 final decision yet as to who will own this and
19 take the leadership on it, but it is certainly the
20 most promising idea on the table at the moment.

21 Perhaps I should just pause and see if
22 there are any reactions to that.

1 CHAIRMAN COWART: Any comments? Chris?

2 MR. SHELTON: I think there would be a
3 lot of overlap of that with high penetration of
4 energy storage, so I don't know what we do about
5 that. There will be a lot of thinking on the
6 general, sort of generic thought process that
7 would feed into that. It may help, I guess, it
8 may not. It may be a launching pad for that and
9 it may allow this committee to focus on the
10 specifics on power delivery.

11 MR. VAN WELIE: I think there will
12 definitely be an overlap. There are sort of two
13 dimensions to this. One dimension is how do you
14 create the right incentives for the vehicle owner
15 to charge and discharge at the right time, to the
16 retail pricing issue, and I think that plays right
17 into the same question that is going to be asked,
18 I think, with regard to distributed storage and
19 distributed resources in general.

20 The other one which is less directly
21 connected is this issue of presumably the point of
22 electric vehicles is to de-carbonize, so you want

1 to bring them renewable energy, so there is a grid
2 implication to that, under the assumption that
3 renewable energy is required in order to supply
4 that energy. I think that's the other dimension
5 to it.

6 CHAIRMAN COWART: Thanks very much.

7 MS. ZIBELMAN: Just a question for
8 Gordon. As part of your discussions, are you also
9 going to be looking at sort of the broader issue
10 of hosting capability on the grid? To me, that
11 could be where it could be complimentary, and the
12 issue is in terms of sort of the levels of
13 penetration, what things can we be doing, how do
14 electrical vehicles play into this, how does VAR
15 optimization play into it.

16 When you think about roadmaps and what
17 we are beginning to think about, at some point we
18 are saying maybe it's 20 percent, now folks are
19 saying it could be as high as 30 percent, and it
20 seems like there is going to be some combination
21 of elements to think about when we are looking at
22 these resources and how they can create a

1 portfolio to develop much more hosting capability
2 and flexibility in the system, and that, I would
3 think, would help with the storage penetration
4 because it sort of starts to say why are we
5 looking at things and how do they work together.

6 MR. VAN WELIE: I think those are all
7 good points. I think it would be useful to have a
8 conversation with Chris on this, to see whether we
9 can dovetail. To Chris' earlier point, there are
10 a lot of conversations springing up around the
11 table that I think folks have a specific interest,
12 but these things are all interconnected in some
13 way.

14 MS. ZIBELMAN: Right.

15 MR. VAN WELIE: I think what is a little
16 difficult about this is that in order to examine a
17 specific dimension of the problem, you have to
18 keep it narrow, yet there is a tendency for all of
19 us to sort of say how does this all piece
20 together.

21 I do think to Chris' earlier point we
22 need to find a way of coalescing this.

1 MS. ZIBELMAN: It would be interesting
2 to me, I like simplifying things, and I can keep
3 it in my head, if there is a way we can tie in DER
4 penetration on the sort of supplier side equals
5 things like hosting capability on the delivery
6 side, so that the two policies are not just trying
7 to do this, we can start telling the story how
8 they do interrelate.

9 MR. VAN WELIE: The good news is Ake is
10 normally on the lead on this one, I will be saying
11 good-bye in June, so I'll check in occasionally to
12 see how it is going. Anything else? Rich? Oh,
13 sorry.

14 CHAIRMAN COWART: Anne has a comment.

15 MS. PRAMAGIORRE: I have a question on
16 the hosting capacity, does that become part of the
17 transactive discussion? That may be a place to
18 pick it up as well, just a thought.

19 MR. VAN WELIE: I think the first thing
20 we have to do is -- I don't know if Ake is going
21 to have the time to follow through on this. I
22 think this is a conversation we need to have with

1 him when he is back here in June.

2 MS. ZIBELMAN: Ake is not here today, is
3 he?

4 MR. VAN WELIE: No.

5 MS. ZIBELMAN: Maybe we can have a
6 follow up conversation and think about how that
7 can interrelate. I think it is a bit of
8 everything, it is transactive, it is software, it
9 is hardware. We should think about it in a more
10 holistic way.

11 MR. VAN WELIE: Just one thought that
12 occurs to me on the fly here, you may want to
13 divide this specific topic into two and say let
14 the distribution element of this be handled in a
15 different forum, and let the question of how do
16 you supply the renewable energy be handled
17 separately. Maybe that is one way of sort of
18 splitting this.

19 CHAIRMAN COWART: Paul?

20 MR. CENTOLELLA: I hadn't thought about
21 this before, but it does strike me there is a
22 third element here as well, and that is the

1 transportation sector is changing or proposed to
2 change in some fairly dramatic ways in terms of
3 becoming smarter and having much more intelligence
4 within the transportation system as a whole, and
5 how does that then fit with thinking about power
6 delivery.

7 I hadn't really thought about it, but it
8 strikes me you can't really think about what's
9 changing in terms of electric vehicles without
10 looking forward to the broader changes within
11 transportation.

12 MR. VAN WELIE: It strikes me that
13 yesterday we were talking about the Internet of
14 Things, I think the vehicle is going to be the
15 smartest appliance out there. That is really
16 where we are heading.

17 CHAIRMAN COWART: Isn't it great
18 whenever we start having one of these
19 conversations, we want to connect it up to three
20 others. (Laughter) It is inherently part of the
21 job of this committee. We never escape it. Thank
22 you, Gordon.

1 CHAIRMAN COWART: We have time now to
2 take a 15 minute break. We will start the panel
3 at 9:50. (Recess)

4 CHAIRMAN COWART: As we begin this next
5 session, I'll announce again that at the conclusion
6 of our business today, there is a time for public
7 comments. Are there any members of the public who
8 have signed up to address the Committee? I see there
9 are none. I just want to make sure. We are now
10 ready for our next panel. And I think the introduction
11 will be done by Gordon van Welie.

12 MR. VAN WELIE: Good morning, everyone.
13 Thank you, once again, for joining us. And I
14 thank a special thank you to our panel, and I'll
15 tell you a bit more about them in a moment, but we
16 have a very distinguished panel here with a
17 diverse set of -- a deliberately diverse set of
18 perspectives on the issue. So I'll come back to
19 that in a moment. So, just reflecting on
20 yesterday, was thrilled actually, this wasn't
21 coordinated at all, but to have Commissioner
22 LaFleur sort of recognize

1 some of the issues that we will be discussing on
2 this panel today. And so I'm paraphrasing, and
3 I'm just focusing on sort of the market policy to
4 action aspects of her comments, but she said a few
5 things that struck a chord with me. The first
6 was, the point that markets are expanding, and she
7 talked at some length on that.

8 She also said that the market designs
9 are obviously different across the country, and
10 they are all being stress-tested with this rapid
11 transformation that's happening on the grid. And
12 she recognized that harmonizing wholesale markets
13 and public policy objectives are one of the big
14 challenges facing wholesale markets. And I think,
15 finally, she also keyed out the question of, how
16 do we pay for the resources that are needed to
17 back up weather- dependent renewable resources.
18 And I think that's one of the key issues at the
19 heart of this concern.

20 So, the central objective of the panel
21 today is to provide information to the EAC on the
22 challenges related to achieving carbon emission

1 reductions in the electricity sector in a way that
2 is compatible with wholesale electricity markets.
3 So you may have seen in your materials, I wrote a
4 memo to the panelists just to give them some
5 context for this discussion, and I'll briefly
6 cover some of the main points from that memo just
7 to, sort of, give us a grounding for this
8 conversation this morning.

9 I think if you sort of look at this from
10 the 30,000-foot level, policymakers have
11 articulate two major public policy goals. The
12 first is achieving grid reliability through
13 competitive wholesale markets, and the second is
14 achieving reductions in carbon emissions, and by
15 implication, increases in renewable energy. So
16 this first policy goal led to restructuring of the
17 electricity industry in approximately two-thirds
18 of the country.

19 Wholesale markets in these regions have
20 two primary objectives, to use the principles of
21 competition transparency and resource neutrality
22 to select the most efficient set of power

1 resources to achieve reliable service. And the
2 second objective was to shift the long- term
3 investment risk in the electricity production
4 technology away from consumers and towards private
5 investors in the marketplace. And I think implied
6 within the understanding that this will allow for
7 efficient technology renewal, but all of this is
8 against the backdrop of ensuring grid reliability
9 is to be maintained.

10 The second policy goal which is the
11 reduction in carbon emissions has led to state
12 level carbon reduction targets, and various
13 mechanisms at the state level, and at the Federal
14 level to the Clean Power Plan. And of course here
15 the primary objective is to lower carbon emissions
16 without affecting reliability.

17 So balancing these policy goals can
18 raise a range of questions depending on which
19 wholesale market and regulatory structure is in
20 place. And as Commissioner LaFleur indicated
21 yesterday, the design of these markets varies
22 amongst the regions that have embraced wholesale

1 restructuring. So the memorandum sort of lays out
2 what the different forms are across the country in
3 a very summary form. I'm not going to cover all
4 of that, but I'd recommend you take a look at it,
5 if you haven't already.

6 So here is the problem. The renewable
7 resources with low to no fuel costs and out of
8 market financial incentives, can offer to produce
9 energy at lower prices than conventional
10 resources. So as the penetration of these
11 renewable resources increases, one should expect
12 that the revenues in the energy market are going
13 to increase. And if you sort of project this
14 scenario forward to its logical conclusion, if we
15 are going to see an 80 percent reduction on carbon
16 emissions, well, we are going to be producing
17 electricity from resources that have very low
18 energy prices.

19 And so the energy market revenues are
20 going to disappear over time, and the question
21 that then gets raised is, how does one sort of
22 sustain the system as a whole? So, in one

1 implication, it's to remain economically viable,
2 conventional resources will increasingly rely on
3 the capacity market, or other forms of
4 out-of-market support, and in the long run any
5 merchant resource, whether it be a conventional
6 resource, or even a renewable resource, is going
7 to end up needing some form of out-of-market
8 support, or support through the capacity market if
9 the energy market can't produce the revenue stream
10 that's necessary in order to recoup the capital
11 investment.

12 So the way I look at it I think
13 policymakers and market designers have a real
14 challenge here. How do we ensure that carbon
15 reduction goals and grid reliability achieved and
16 how we do this, I think it's going to determine
17 whether wholesale markets continue to be
18 successful or whether, ultimately, we are going to
19 be forced to return back to some kind of
20 cost-of-service model for all resources on the
21 system.

22 So with that, sort of a challenging

1 introduction to the panelists, because I know we
2 are going to have answer to this problem by the
3 end of panel, and we won't even need to write a
4 recommendation to the DOE.

5 Let me introduce the panel. We have
6 four panelists, and they'll speak from left to
7 right. The first is Bob Ethier, he works at ISO
8 New England, he is the current VP of Market
9 Operations, and prior to that was the VP of Market
10 Development. He holds a B.A. in Economics from
11 Yale University, and an M.S. and PhD in Applied
12 Economics from Cornell.

13 Joe Dominguez, who is just to his right,
14 he is Executive Vice President at Exelon, and he
15 leads the development and implementation of
16 Federal State and Regional Government Regulatory
17 and Public Policy strategies for Exelon which, as
18 you know, is one of the largest utilities in the
19 country. He holds an Undergraduate Degree with
20 honors in Mechanical Engineering from the New
21 Jersey Institute of Technology, and he is a
22 graduate of Rutgers University School of Law with

1 high honors. So, an engineer and a lawyer in one
2 package; so happy to have you, Joe.

3 Rob Gramlich, just to his right, he is a
4 Senior Vice President with AWEA, the American Wind
5 Energy Association. He joined AWEA in 2005 and
6 oversees the organizational research, state
7 policy, regulatory and public affairs programs.
8 Rob and I met back in 2001 when he was working
9 with Pat Wood, so he is somewhat a father of some
10 of these wholesale markets, so he got the ball
11 rolling on a lot of this. You can expand on that
12 later on, Rob. He holds a Master's Degree in
13 Public Policy from UC Berkeley, and a B.A. with
14 honors and distinction in Economics from Colby
15 College.

16 And last we have Beverly Heydinger, who
17 is the Chair of the Public Utilities Commission
18 for Minnesota. She was appointed by Governor Mark
19 Dayton in July 2012. She's a Member of NERUC and
20 its Committee on electricity, and the Mid America
21 Regulatory Conference. The Chair of the Executive
22 Council of the Administrative Law section, of the

1 Minnesota State Bar Association, and a Member of
2 Minnesota Women Lawyers; she holds a B.A. from
3 Carlton College and a J.D. from the University of
4 Michigan Law School.

5 So as you can see, a very distinguished
6 panel, and with that introduction I'll turn it
7 over to Bob, to sort of give the perspective from
8 not only ISO New England, but from an economist's
9 point of view.

10 MR. ETHIER: Thanks, Gordon. I actually
11 have some slides. I'm not quite sure how to --
12 Someone is doing that for me, wow, this is slick.

13 Thanks for the introduction, and since
14 you brought up where I went to undergrad, I have
15 to say congratulations to the Yale Basketball
16 Team, 54 years without a win is a long time, so
17 we'll take what we can get. It's not often we
18 have athletic achievements to brag about, that's
19 for sure.

20 But thanks for the opportunity to be
21 here this morning, and talk about an issue that's
22 certainly very important to us in New England. We

1 are really going through the early stages, or
2 maybe the mid stages, of addressing the issues
3 that Gordon talked about. How do you keep the
4 wholesale markets functioning well while
5 addressing states that have very real and pressing
6 policy initiatives that they want to implement.

7 So, if we can go to slide 3. Oh. Can I
8 use this now? There we go. I just had to figure
9 which of the many buttons it was. So, New England
10 has had a lot of organic change in its
11 infrastructure over the last decade or so. Or,
12 really 15 years, if you look at these slides, the
13 interesting pieces are the oil as a percentage of
14 production in New England has fallen from 22
15 percent to about 2 percent. Coal has fallen from
16 18 percent to 4 percent, and natural gas has taken
17 up the slack, they've increased from 15 to 49
18 percent. So, we've seen a huge shift in New
19 England away from coal and oil to natural gas,
20 largely market-driven. But there's been a lot of
21 turnover in our fleet in that period of time, you
22 have a lot of -- now you have lots of old, what

1 used to be base-load resources that are really
2 operated on a few cold days and a few hot days
3 every year; so, a lot of change there.

4 And what we projected going forward we
5 are going to see even more retirements. So, we've
6 seen 3,200 megawatts -- we saw 3,200 megawatts
7 retire in the 15 years concluding in 2012. We've
8 already seen 4,200 megawatts retire in the last
9 three years, with more projected going forward.
10 So, we are seeing this natural, big turnover in
11 our markets, and what's important about that is,
12 what is shows is, at least to me, is that it's
13 very important that our markets be structured in a
14 way to reliably incent new resources when we need
15 them.

16 Today I think the evidence is good, that
17 is, we have seen a lot of retirements, and we've
18 actually seen new resources come in based on
19 market-based pricing, come into the market to meet
20 our reliability and energy needs over time. So,
21 you know, these slides demonstrate the need, I
22 think, for a well-functioning wholesale market,

1 and I think to date we've got that.

2 But we've got new challenges coming
3 forward. Not only do we have additional
4 retirements that we expect, and if you sort of
5 look at the fine print on this, you'll see that we
6 did a study in 2012, and we looked at likely
7 retirements and we came up with an 8,300 megawatt
8 number. That didn't include nuclear units. What
9 are we seeing now? We've seen two nuclear units
10 either retire or announce their retirement in the
11 last couple of years. That wasn't on the drawing
12 board for us, and at least in part, driven by
13 market conditions, particularly, well, natural gas
14 prices.

15 So, not only do we have the retirements
16 that we sort of expected with these 40- 50-
17 60-year-old, relatively inefficient units, but
18 it's also, we have these new market- driven
19 retirements that we weren't necessarily
20 anticipating. On top of that, what we have are
21 aggressive state goals to both increase renewable
22 energy and simultaneously reduce greenhouse gas

1 emissions. So you can see the states have a
2 pretty substantial RPS goal, so that they want
3 large percentages of their electricity generated
4 by renewable resources by 2020, and they've
5 already started working on that.

6 We've had a renewable portfolio standard
7 in New England for a number of years now, and they
8 also want to reduced their greenhouse gas
9 emissions as you can see on the right-hand side.
10 And so these goals are such that when the clean
11 power plan was announced, the sort of view in New
12 England, by and large, from what I could tell
13 among the state folks was, it's about time. It
14 wasn't; oh, my, goodness, how are we going to
15 react. We are on track to do this, we may
16 actually be exceeding these levels, you know,
17 let's get it done. It's about time other people
18 got on board with this.

19 So, you know, we, as a region have a lot
20 of policy-driven change coming our way. And as
21 operators of the wholesale market, we need to make
22 sure that the markets work well to accommodate

1 that. For example, you can see the wind. We have
2 about 800 megawatts of existing wind. This is
3 name plate, so this is, you know, sort of what you
4 see when you see the press releases.

5 We have about 4,200 megawatts proposed,
6 huge increase when our peak loads these days are
7 27,000 megawatts, and we are looking at 5,000
8 megawatts of wind to meet that peak load, for
9 example. Solar is also growing rapidly despite
10 the substantial cloud cover that we have in New
11 England. So we are getting a lot of solar, and
12 energy efficiency, the states are pouring a lot of
13 money. The number I hear often is a billion
14 dollars a year is going into energy efficiency,
15 largely through the utilities.

16 And it's making a difference. Our load
17 forecasts have gone from steady upward climbs to
18 basically flat, when you include all these things.
19 So there are a lot of -- There's a lot of motion
20 here in New England, and we need to make sure that
21 the markets work well, because that's the system
22 that we, in New England have adopted.

1 So, what's the problem with that? Well,
2 there are inherent problems that just, there are
3 some realities. When you add lots of wind, when
4 you add lots of solar, and you add lots of energy
5 efficiency, it tends to reduce electricity prices,
6 and it also reduces margins for the existing
7 resources in the electricity market. Yet, I just
8 said, we need lots of new resources to come in and
9 make up for the retired resources.

10 How is that going to happen? That's why
11 we have a capacity market. What happens when you
12 lower the energy market revenues, and the energy
13 market margins for resources, is it puts more
14 pressure on the capacity market, raises prices in
15 the capacity market to levels that are -- that you
16 need to incent new resources to come into the
17 market. It's critical for us. In our last
18 capacity auction, going just last month, we needed
19 some new resources, and we got over 1,200
20 megawatts of new generation based on market price
21 signals. And that is, those are reflecting the
22 lower energy market expectations that we see going

1 forward.

2 We have, you know, what Gordon sort of
3 teed up was this sort of conflict, potentially,
4 between state policies and running fair and
5 efficient electricity markets. And I just want to
6 go into a little more depth on that right now.
7 So, wholesale electricity markets have actually a
8 fairly limited objective, which is short and
9 long-term reliability at basically the most
10 efficient outcome and at competitive prices.

11 There are some critical market design
12 elements, these include, clearly defining
13 reliability services, unambiguous performance
14 expectations. I think the last time I was here I
15 talked about performance expectations and how
16 important it is to have clear rules for
17 participants and financial consequences if folks
18 don't live up to those expectations.

19 A key one is appropriate price formation
20 in all the markets and that's really what the
21 issue that we are going to talk about today is
22 appropriate price formation particularly in the

1 capacity market; and then pay-for- performance
2 which gets the unambiguous performance
3 expectations. Our belief is that our current
4 market design should ensure adequate resources to
5 meet the liability standards, and that the
6 appropriate -- the resulting resource mix is going
7 to complement the operational capabilities and
8 needs that we see when we get these renewables
9 come into the market.

10 So we don't have a concern, at least at
11 this point that the new resources that we are
12 getting aren't going to mesh well with the
13 renewable resources that we also see being added
14 to the system. Actually, the new resources we see
15 come in are pretty flexible, which is what you
16 need to complement the renewables, so that's not
17 our concern now. Or probably our biggest concern
18 is that, what's the consequence if policymakers
19 seek very specific market outcomes through
20 out-of-market actions.

21 And that's a problem, because if you
22 have out-of- market actions taken by the states,

1 for example, that undermine the price formation,
2 particularly in the capacity market, at least in
3 New England, you run the risk that you are not
4 going to be able to get the new resources that you
5 need to meet your renewable goals. So, the
6 capacity market will make up for, in our view at
7 least, and in our experience, will address
8 deficiencies in energy market revenues, but only
9 if the capacity market functions well.

10 And how could it not function well?

11 Well, the problem that we are seeing is that
12 states want to go sign long-term contracts for
13 large chunks of new capacity, and then have them
14 come bit into the capacity market at zero.
15 Unfortunately, the capacity market design is such
16 that, to get long-term pricing, those that are
17 going to incent new recourses to enter, you really
18 need all the new resources to offer at their true
19 competitive levels, not some level that reflects a
20 long-term contract and the fact that they actually
21 don't need those capacity market revenues going
22 forward.

1 So that's the tension that we have right
2 now in New England. That's not to say that there
3 aren't good ways for state policymakers to achieve
4 their policy goals, while still allowing the
5 competitive markets to work well. We actually
6 have lots of good examples in New England already.
7 We have SO₂ trading, we have NO_x trading, and we
8 have the regional greenhouse gas initiative. All
9 those things are in place for a number of years,
10 and they each work well with our current market
11 design.

12 When the SO₂ and NO_x seasons come and
13 go, you can actually see the bidding of the
14 resources change on that day, so on a Tuesday they
15 won't reflect SO_x and NO_x prices, and then on
16 Wednesday when the season starts, they'll reflect
17 those prices, work seamlessly in our market; RGGI
18 is the same way. The generators that are required
19 to be a part of -- you know, buy CO₂ credits, they
20 do so, it's reflected in their offer. It works
21 seamlessly.

22 So I think we have good examples of

1 environmental policies, implemented in a way that
2 allows our markets to work well, and thereby
3 ensure long-term reliability. The problem we have
4 is emerging actions to meet these policy goals
5 through things such as long-term contracts with
6 wind power in the Northern New England states, or
7 large-scale hydro in New England; the problem that
8 we are going to run into is that if we -- if these
9 long-term contracts get signed by new resources,
10 and then if these new resources want to come into
11 the market, they are going to depress the market
12 clearing price in the capacity market, and
13 undermine the ability of a new entrant to come in,
14 and meet reliability needs in that market in the
15 long run.

16 And if the states go down a path of
17 wanting to do so over the long term, it really
18 puts the viability of our current capacity market
19 construct into doubt. We might have to come up
20 with a new approach to doing that. You know, we
21 do have a rule in place, and I won't get into the
22 gory details, but it's called the minimum offer

1 price rule, it's intended to address long-term
2 contracts. On one level, the rule is effective as
3 written in that it will prevent the capacity
4 market prices from being distorted by long-term
5 contracts for new resources that cause them to bid
6 below competitive levels.

7 But the reality of it is actually much
8 more complicated. It's kind of difficult and
9 complex to implement, and probably even more
10 important, it creates a lot of frictions with the
11 states when you tell them that their shiny, new
12 wind power up in Maine is not allowed participate
13 in one of our markets because it didn't follow the
14 rules that we've set up to sort of address those
15 sorts of issues.

16 So, I think it's a real question whether
17 the MOPR is going to be a long-term construct that
18 is successful ensuring the viability of our
19 capacity market, both because we are getting
20 pressure from within New England, over the MOPR,
21 and also because it's currently in the courts.
22 There's a very similar case in Maryland, and PJM

1 that's addressing this issue, and that courts
2 could well invalidate this rule and say, no, go
3 back to the drawing board.

4 So, that's sort of the issue I wanted to
5 tee up, and how I wanted to leave it with you all,
6 and I know my fellow panelists have some views on
7 this, and they may not be quite in accord with
8 mine, so it should be a fun discussion. Thank
9 you.

10 MR. VAN WELIE: Joe?

11 MR. DOMINGUEZ: Thanks, Gordon. Good
12 morning everyone. Gordon's intro reminds me that
13 I left a once-promising career as an engineer,
14 and an equally promising career as a lawyer, to
15 find myself in this morning's predicament. So,
16 thank you for that, Gordon.

17 This has been teed up so well that I'm
18 going to -- I'm just going to bucket my comments,
19 and then let's kind of move to the questions or to
20 the other panelists, and then to the questions
21 quickly.

22 First of all, as Bob said, there's no

1 inherent conflict between environmental objectives
2 and wholesale markets, obviously when the cost is
3 internalized and the polluter pays, those costs
4 get reflected in the market and we see that every
5 day with SO₂ allowances, NO_x allowances, carbon
6 allowances that get easily priced into energy
7 price formation and the wholesale markets. When
8 we talk about fixed capitalized units whether they
9 be scrubbers or cooling towers or whatever, those
10 things could be priced and priced into the
11 capacity markets.

12 So the nature of the problem here, if we
13 could just draw some boundaries around it, is
14 really in the arena of policies that don't have
15 the polluter pay, but rather reward attributes for
16 clean generation prepayments outside of the
17 markets, so that's the conflict. In terms of the
18 problem it creates, I'm going to speak from a --
19 particularly from a nuclear technology
20 perspective. Bob already talked about a couple
21 plants, announcing the retirement, New England,
22 Chairman Zibelman is confronting the same

1 situation in New York.

2 In NYISO we've had this situation with
3 Duane Arnold, and we are
4 certainly seeing this issue around PJM. And the
5 challenges for the nuclear operators are really
6 three-fold. We have very low gas prices that are
7 driving very low power prices. Quite obviously
8 that's probably the most significant effect. We
9 have some out-of-market incentives, along the
10 lines that Bob talked about, that are creating
11 distortions in the energy market, that's a very
12 important market for nuclear operators, that's
13 where they receive about 90 percent of the needed
14 revenues.

15 And so when you see distortions in those
16 markets they have a particular effect on nuclear
17 resources that don't have the same effect on
18 resources that dispatch around these lower price
19 or in the case of our Midwest units, persistent
20 negative price events. And I think the FERC
21 recently approved, allowing negative prices to
22 fall to negative 160 hours or --

1 SPEAKER: 150, yeah.

2 MR. DOMINGUEZ: Negative \$150 in New
3 England, so obviously that reeks havoc, for a
4 nuclear power plant that is paying \$150 per
5 megawatt hour to put power on the system. And the
6 third problem is that as we've developed these
7 criteria for those resources that we are going to
8 give out- of-market support, as a general matter
9 we have left nuclear out of that equation. Under
10 the impression, I think it was an accurate
11 impression for a long time, that nuclear simply
12 didn't need it, and the reality is, as we are
13 saying right now, that nuclear, in fact, does need
14 it.

15 So, having defined the problem that way,
16 I think the effect we are seeing, and I think Rob
17 is right, we are doing some things in the capacity
18 market, in different places. We don't have a
19 capacity market in ERCOT, in California, not the
20 same type of capacity market, certainly in MISO,
21 but in those states that do rely on a capacity
22 market for resource adequacy, we are seeing some

1 problems, and those problems have been addressed
2 through some capacity performance reforms that
3 we've heard about, but those aren't really
4 long-term solutions.

5 So, teeing up, Gordon, where I think you
6 are going in your questions, and you've all read
7 the memo, I think we can kind of try to think
8 about this in three different ways. If we want to
9 have functioning wholesale markets, then
10 eventually we need to migrate to putting the price
11 of pollution in that market. And in the case of
12 CO2, what we are talking about is putting a price
13 on carbon. That's been a very difficult thing,
14 obviously, to accomplish legislatively, but
15 something we very much have to have in our mind,
16 as we thinking about clean power plant compliance,
17 because EPA has given the states a couple of
18 different options.

19 One is a mass-based approach, where
20 cooperation between states, along the lines we see
21 in New York and the other RGGI states could work
22 those things that are consistent with the market

1 as Bob said. We could try to mitigate the
2 payments; that's the other option here, and Bob
3 talked about the MOPR, and I think we've gotten
4 ourselves into thinking that mitigation should
5 always apply in the capacity market, irrespective
6 of whether the impact of the out-of-market payment
7 is principally felt in that market or on the
8 energy side.

9 And I wanted to tease out for you today,
10 and perhaps open your minds to thinking about, is
11 that it is not a natural thing to mitigate
12 payments that are essentially variable adders in
13 the capacity market. Remember we have, in those
14 states that have the capacity market, we have a
15 functioning energy market, and there we are
16 bidding in all variable costs of making
17 electricity. The variable fuel costs, the
18 variable O&M costs, and then we have capacity
19 market that deals with the fixed capital costs of
20 operating the plant. Those costs that don't
21 change based on the output of the plant.

22 When we are talking about out-of-market

1 adders, whether they are RPS payments, whether
2 they are production tax credits, or whether or not
3 the types of things we are talking about in New
4 York for nuclear. They are essentially payments
5 that are adders to the energy market. So if
6 mitigation is going to occur, it's not clear that
7 that mitigation, through a Minimum Offer Price
8 Rule in the capacity market, makes the most sense.
9 Perhaps where that mitigation needs to occur, is
10 in the bids in the energy market. And if you
11 think about this from the perspective of all the
12 RTOs across the country -- ERCOT, California where
13 you are really seeing the manifestation of these
14 issues, do not have capacity markets, and where
15 you really need to think, if you are going to go
16 down the road of mitigation, is whether we are
17 going to start mitigating energy bids so we don't
18 have negative prices, negative \$150 prices simply
19 driven because somebody is going to get a subsidy
20 for producing electricity at that time, or an
21 out-of-market payment for an attribute.

22 So, mitigation is a complicated issue,

1 we tend to think about it only in the capacity
2 market design, I'm suggesting this morning that
3 that's a blunt object or a blunt instrument for
4 this particular problem if we are going to go down
5 that road.

6 The third way we could start thinking
7 about this is to simply recognize that we are
8 going to have a hybrid. Where states are going to
9 be focused on a number of resources that are going
10 to be important to the states, and the balance of
11 the market could address those resources that lie
12 outside of the zero carbon or clean energy realm.
13 So, it is entirely appropriate, I think, to start
14 thinking about this as a market where we could
15 start bifurcating the wholesale market or the
16 capacity markets, into a market that deals with
17 capacity resources, that are emitting resources,
18 and capacity resources that are not emitting
19 resources. And we have two markets that are clear
20 together, but you clear their clean energy part of
21 that first, and we've done that.

22 In capacity markets we've tiered things

1 like demand response, and other things, so that's
2 certainly one approach here, and I think we are
3 going to, you know, eventually tumble into an area
4 where most all of the zero carbon resources in the
5 market, and I'm going to suggest to you today,
6 that in the fullness of time, that's going to
7 include nuclear, are going to count on
8 out-of-market support, and what the wholesale
9 market may end up doing is being a residual market
10 for gas fire generation in the fullness of time,
11 and obviously we are going to have, as we evolve
12 out of coal, we are not building more coal, so I'm
13 talking about gas fire generation, as that part of
14 the resource mix that is going to be dealt with
15 through these wholesale markets.

16 MR. GRAMLICH: Okay. Good morning.
17 Again, Rob Gramlich with American Wind Energy
18 Association, and it was enjoyable to work with
19 Gordon and Bob in the market design days of RTO
20 and ISO development in standard market design, and
21 thought they did a great job in their market, but
22 the markets are changing, and so we do need to

1 focus on the new challenges, and I am -- we are
2 diving right into this discussion, so I'm actually
3 -- (inaudible) speakers do this, I'm not going to
4 do the slides.

5 If you want to see them, there are some
6 updates on sort wind and integration into the
7 grid, and I'll just give three facts and move on
8 right into the questions here. A couple of
9 things, wind cost have fallen by about two-thirds
10 in the last six years. We are at 75 gigawatts of
11 wind around the country. We were at about four
12 when I started in this 11 years ago, so obviously
13 dramatic growth where it -- on an annual basis we
14 have exceeded 30 percent of Iowa's electricity,
15 and we are nearing that in some other states.

16 So, in terms of just sort of the simple,
17 you know, can we do this reliably, clearly some
18 areas are doing it, both in the U.S. and abroad,
19 and we can, you know, talk about how exactly
20 that's done when we have more time to focus on
21 that. So, let me focus on the questions Gordon
22 teed up, and that Bob and Joe got to.

1 It strikes me that New England is a
2 region with a lot of retail competition and a
3 capacity planning issue. And that capacity
4 planning and retail competition have been a
5 challenge from the get-go; and I was honored to
6 serve on this Electricity Advisory Committee in the
7 mid-2000s, and that exact issue was what we or Pat
8 and Rich, and others may remember, in that, you
9 know, 10 or more years ago.

10 This is what we are talking about, how
11 do we do, and at that time it was pre-2008 market
12 dive, so there were expectations of, you know,
13 need for rapid capacity expansion, and how the
14 heck are we going to do it. Capacity remarks,
15 retail competition. So that problem still exists,
16 and I don't think anything about renewables or
17 carbon reductions, makes that any harder or
18 easier, it's just a challenge, and honestly I
19 haven't been following it that much recently,
20 because it's sort of not our issue.

21 And I also don't think that the heads of
22 the New York, MISO, ERCOT, California SPP, or the

1 other ISOs have quite the same issues. We'll,
2 hear from Chair Heydinger about what's happening
3 in the Midwest, but in some regions where you have
4 vertically-integrated utilities, with a PUC that
5 oversees capacity planning, they do capacity
6 planning, that way that's how they do it, and
7 whether MISO develops or doesn't develop a
8 capacity market as sort of a residual for trading,
9 you know, that's fine, that's up to the region.

10 ERCOT does it differently, they do it
11 with a high energy price, and they have, you know,
12 maybe that's -- maybe it's time again, I don't
13 even want necessarily suggest the solution,
14 because I haven't been focused on this, but there
15 are other areas that don't have -- you know, rely
16 on centralized capacity markets with a lot of
17 retail competition. You know, just a different
18 issue.

19 So I understand you have a challenge
20 there, but I think it's somewhat unique to the
21 region, and it's not exacerbated by renewable
22 energy. There are issues across the country with

1 low wholesale prices affecting generation, and
2 nobody is, you know, more conscious of that, than
3 Joe and Exelon but, you know, everybody, all of
4 us, every supply side source is dealing with the
5 fracking, the shale gas revolution, and low gas
6 prices affect all sources of supply and that's,
7 you know, an issue for the economics of all
8 sources.

9 If you look at the market monitor and
10 reports for New England, it's almost perfect
11 correlation between gas prices and power market
12 prices, which the monitor says is a great
13 indication of how competitive the market is. I
14 mean that's what's happened. The prices are based
15 on natural gas, wind and renewables aren't setting
16 the price, and so again, that's the -- you know,
17 that's a sort of separate issued, unrelated to
18 renewables.

19 On the question of whether markets need
20 to be altered in any kind of fundamental way to
21 deal with the new twin challenges of, you know,
22 competition and carbon reductions, I would say no,

1 you know, in my personal opinion. I think the
2 markets are fairly robust in their design, you'll
3 want to adequately compensate capacity, energy and
4 flexibility or, say, ancillary services, and there
5 has been a continuing need to address those, and I
6 think every RTO market, you know, has an annual
7 marketing monitoring assessment, and sometimes
8 they say, hey, wait a minute.

9 As with New England, I think the recent
10 report say, short-term flexibility, the ramp is
11 not being adequately compensated, so we need to
12 alter the market design, or create a better market
13 that rewards ramp, fast ramping. And see Mark
14 with a -- there have been a lot of comments from
15 NERC about, hey, we have some important
16 reliability needs, somebody should pay for it, and
17 it's not NERC's role to say you should pay for it
18 through markets or some other way.

19 But it should be compensated. We
20 totally agree with the frequency response. You
21 know, our preference for all these things, as real
22 would be as through a market, the markets do work.

1 They are the most efficient way to procure these
2 services on a competitive and fair and open basis,
3 and so we can say that but, you know, NERC would
4 say, get the services, and I think the RTOs would
5 say, you know, we need the services, and we want
6 to procure them competitively, so let's develop
7 the markets.

8 I think there are issues with the
9 capacity market design to make sure adequate
10 capacity is being paid for. I think you are
11 probably right that over the long term with carbon
12 reduction policies, there would be potentially
13 more reliance on capacity markets relative to
14 energy markets. There is some of that in Germany,
15 I think, and that may be fine. I mean, if you
16 have a whole lot of low, variable cost resources
17 coming into a market, power prices may be lower
18 over the long term, and capacity prices might be,
19 you know, if you are -- say, you are gas combined
20 cycle, and you want to provide the capacity and
21 flexibility, you might rely relatively more on
22 capacity and ancillary service market prices.

1 And that may be fine, that may be the
2 efficient outcome. So I think that's okay, and I
3 can understand capacity markets are hard for
4 everybody to deal with. And I don't envy your
5 job, Gordon, going to states and talking about why
6 these capacity markets -- Everybody hates capacity
7 markets. You know, it's a public good,
8 reliability is a public good, and everybody wants
9 somebody else to pay for it, that's just the
10 reality with public goods, and infrastructure. And
11 if you ride the DC Metro, you are facing that
12 every day these days. Everybody wants -- I'm in
13 Maryland, I want Virginia to pay for that improved
14 system. You know, so that's just the issue with
15 capacity markets. We are not going to get away
16 from that.

17 And final point, long-term contracts, I
18 think, we don't want to throw the baby out with
19 the bathwater. Long-term contracts are efficient
20 for suppliers and for consumers. And I'm looking
21 at Roy here, because this was something that we
22 always understand the market design RTOs. We in

1 Pat Wood's office always said, yeah, you should do
2 long-term, short-term, mid-term, you should have
3 free choice, consumer choice of what types of
4 contracts you want to do, and the RTOs should be
5 designed compatible with that, and it didn't
6 always work in the Northeast that well, and so
7 it's a continuing issue.

8 But long-term contracts, particularly
9 for renewables, because they are 100 percent
10 capital, zero percent variable cost, the weighted
11 average cost to capital is a huge deal on the
12 end-use consumer price. If we want to get low
13 carbon or zero carbon resources to consumers, on a
14 cost-effective basis as a nation, we've got to be
15 looking at long-term contracts, because that
16 weighted average cost of capital will massively
17 reduce the cost to consumers. So, we need to
18 preserve a market and allow somebody to plan, and
19 then that gets back-to-back the -- now we are in
20 this kind of do loop here.

21 Well, okay, if you are in a retail
22 access area, you know, the load serving entity

1 doesn't know who they are serving, 3, 5, 10 years
2 out, so they don't -- So are you placing the
3 obligation on them, or who are you putting the
4 obligation on? So it gets back to his,
5 fundamentally it's about retail competition and
6 capacity planning. And again, smarter minds than
7 mine need to worry about that, but that's not a
8 renewable specific, or a carbon reduction issue.
9 So I'll leave it there, and looking forward to our
10 Chairman, actually doing some of the stuff in the
11 Midwest.

12 CHAIR HEYDINGER: Thank you. As
13 introduced, I'm Beverly Heydinger, and I'm Chair
14 of the Minnesota Public Utilities Commission, and
15 I'd like to give a special shout out to my
16 colleagues here; Commissioner Roberti and
17 Commissioner Zibelman, nice to see you. Very nice
18 to be invited and, you know, I am the alien from
19 the alternative universe here.

20 I think my whole perspective is quite
21 different. First, because I'm not an expert on
22 the markets, and as a missionary in a vertically

1 integrated state, we are very much aware of, and
2 participants in MISO, and among the organization
3 of MISO states, play a role in helping shape the
4 policies there, but we have several distinguishing
5 features, I think. And part of the way I look at
6 it is that the wholesale market, when you are
7 coming from a vertically integrated state, is
8 really there to serve the expansion of open
9 markets, and to look at how those vertically
10 integrated states can work even better within that
11 construct rather than starting with an open
12 market, and then figuring out how can the states
13 work better -- do their job better within that
14 starting point.

15 So, it's as if you are really starting
16 in two different places, but over time, I think
17 what we can see is that we are getting to
18 adjustments coming from those two directions that
19 lead us in many ways to similar, different but
20 similar results. And, so just to step back again
21 to say, that in a state like Minnesota, I guess
22 you could say we are unusual in a lot of respects.

1 We do have a very robust integrated
2 research planning process, all of our
3 investor-owned utilities have now for many years,
4 come to the Commission every two to three years
5 with their 15-year plans for how they are going to
6 -- what they anticipate their load will be, and
7 what the resources are that they are going to have
8 to meet them. At the same time, Minnesota has had
9 very aggressive renewable portfolio standards,
10 greenhouse gas reduction standards, aggressive
11 energy efficiency standards, but again, we are not
12 at -- you know, this is very Midwestern. We are
13 not at the lead here, but we are at the top of the
14 pack I guess you could say.

15 So, all of that has factored into our
16 integrated resource planning over a number of
17 years, particularly since 2007 when, our New
18 Generation Energy Act came into place. So,
19 because we work with our utilities at that level
20 of resource planning, they have had the
21 opportunity over time to plan for this transition,
22 and to provide some of the certainty, I think,

1 look at peaks and coincident peaks and so forth,
2 peaks in -- the coincident peaks for our utilities
3 are not necessarily those of the MISO region which
4 are at a different time, that can allow us savings
5 for planning for those peaks as well. Lower-cost
6 unit commitments and dispatch to handle
7 congestion, and another key component, I think,
8 which distinguishes Minnesota in some ways, is
9 that we are a net energy importer.

10 So, again, out utilities, as generators
11 and power purchasers, don't necessarily have
12 access to resources that they must sell into a
13 market in order to assure that their costs are
14 met. We are able to provide -- I don't want to
15 say -- We don't provide financial incentives, per
16 se, to add renewable resources into the mix of our
17 investor-owned utilities, but by virtue of setting
18 rates which include capital costs, and reviewing
19 the prudence and reasonableness of those capital
20 costs they do, again, have some assurance, that
21 their longer-term investment costs are going to be
22 met.

1 Again, too, within my MISO there are 23
2 balancing authorities, and I think that two
3 (inaudible) state like Minnesota to assure that
4 reliability and that planning, and that lower
5 cost, there are ways to hedge against congestion
6 in the system is necessary, and all of those are
7 benefits that we have of participating in MISO.

8 How that then affects? Let's take
9 nuclear, we have two large nuclear units in
10 Minnesota, and because their capacity costs are
11 essentially built into rates, they can afford to
12 be price-takers in the MISO market, and if the
13 load expectations are low, they can bid in a range
14 of their capacity that's available to produce
15 energy, the available energy that's available.
16 And set the price to take at the lowest otherwise
17 set cost within that MISO market.

18 And then they are available to continue
19 to provide that energy as the load increases --
20 rise. So, similarly that is true for the wind,
21 and particular in Minnesota, and as you may know,
22 our solar is still in infinitesimal, growing. But

1 wind is a big player, and it's so cost- effective
2 from an energy point of view, that our utilities
3 are going out and purchasing more wind in order
4 to, again, offer it at that lower cost, but it
5 helps take away some of their additional marginal
6 cost of running more expensive natural gas, or
7 coal, above the minimum that they are required to
8 operate.

9 The other pieces of the markets that are
10 very important to use, are the auxiliary service
11 markets, because it's true that all the players in
12 the MISO markets are bearing a portion of the cost
13 for those reserves, both those that must be
14 instantaneous, and those that can be called on us,
15 like the longer timeframe.

16 But that socialization, I guess you
17 would say, of all of those costs can keep the cost
18 for the Minnesota rate pairs relatively low to
19 have that assurance, that reliability and that
20 reserve, if you will, to buttress the overall
21 system. So I think there is very much a role for
22 the market, even within the vertically-integrated

1 states, but I do think as we go forward, and we
2 look at decreasing carbon, and increasing reliance
3 on renewable resources, in some respects the model
4 of having vertically integrated resources works
5 very well for us. Now, I don't want to speak for
6 our investor-owned utilities, but I think the
7 certainty for them, has allowed them to do some
8 pretty robust planning.

9 Do we have challenges? Absolutely!
10 Demand response, for example, in Minnesota we have
11 not permitted third-party aggregators to work in
12 that market, and instead we require our utilities
13 to take it into account in their planning and we
14 push them to look at how they can use that as a
15 way to avoid future new generation. But going
16 forward, will we be looking at whether that's a
17 marketable product that may be more valuable to
18 us, I think that we will.

19 We also have some difficulties in
20 vertically- integrated states because our
21 utilities serve more -- serve our customers in
22 more than one state. And the policies across

1 state lines don't align very well. I don't think
2 it's any big mystery that North Dakota and
3 Minnesota don't see the world through the same
4 eyes. And North Dakota's 51st in its energy
5 efficiency policies, so their customers in North
6 Dakota are definitely benefitting from the energy
7 efficiency policies that Minnesota has set for
8 Excel in particular, which has by far its largest
9 load in Minnesota, but leaks over into North
10 Dakota, South Dakota, Iowa and Wisconsin.

11 On the other hand, they look at other
12 pieces of the energy policy in Minnesota that they
13 believe are costing them money, solar in
14 particular and they don't want to pay for it. So,
15 there definitely are challenges when you are
16 attempting to balance the policies of the various
17 states. In some respects, I think MISO handles
18 that very well, because the utilities can,
19 essentially, self-schedule and can offer their
20 resources in as price takers in order to meet the
21 states' goals.

22 And because MISO does a good job of

1 looking ahead and asking the utilities to give
2 them a one-year look ahead on which generation is
3 going to be in the system, which generation is
4 going to be retired, they have a pretty good idea,
5 footprint wide of whether there's sufficient
6 resources to meet reliability standards. Right
7 now MISO is quite long actually. Could that
8 change? And as they were looking ahead to
9 implementation of the Clean Power Plan, obviously
10 there were some red flags going up.

11 But, in general, because of the very
12 cost- effective wind and our ability to integrate
13 it across a wide and large footprint, I think it's
14 about 1,000 miles, maybe 800 miles, I think,
15 allows for a lot of variation in whether excellent
16 weather forecasting interestingly that I think has
17 developed as a result of that MISO footprint, that
18 can allow for then the anticipation of whether
19 other resources like natural gas or nuclear are
20 going to ramp up in those states when wind is not
21 blowing.

22 So, that's the view. You know, I'm not

1 a market expert, fortunately I don't have to worry
2 a great deal. We have people at the Commission
3 who follow MISO carefully and participate in the
4 OMS stakeholder group, but as we do meet with MISO
5 on a quarterly basis, they come in and talk to us
6 about questions that we may have, or topics they
7 want to address to us, and it seems to be a
8 relatively -- how shall I say -- strong
9 relationship that is working well at this point.

10 And within MISO I believe about 90
11 percent of the load is served by
12 vertically-integrated states. So, again, that is
13 the model if you will, that largely dictates how
14 the market operates within MISO. So, I hope
15 that's helpful; a little different perspective.
16 Welcome to answering your questions.

17 MR. VAN WELIE: Thank you very much. I
18 have a whole series of questions, but I don't want
19 to dominate this. I'd like to open it up to the
20 floor, and let everybody else have an opportunity,
21 and if that's okay with you Rich? I'll save my
22 questions if there's time at the end.

1 CHAIRMAN COWART: All right. Well,
2 we'll hear from John, and then Paul.

3 MR. ADAMS: Well, I wanted to ask, you
4 know, I heard one statement made that the
5 renewables were not an issue and that they didn't
6 set the price, and I just want to comment in
7 ERCOT, yeah, they do set price and it is negative.
8 Joe, I'd like to thank you, I've never considered
9 a residual market separate from the other
10 resources. I'd always thought there were three
11 solutions to this, in an energy-only market, which
12 is really the only one I had experience with. One
13 was extremely high scarcity prices. The second
14 one was ancillary services.

15 Essentially pick up that cost, and the
16 third is what we don't have, a capacity market.
17 So you've introduced a fourth, but what I didn't
18 hear is price formation for the first of those.
19 Okay, so you've got residual market for fossil
20 only, was what I understood that to be, but you
21 said nothing about the pricing for the zero
22 marginal cost units, is what I'm thinking of these

1 as. Do you have any comments on that?

2 MR. DOMINGUEZ: Yes. And I guess what I
3 really think is going to occur is that that is not
4 going to be a market price in the traditional
5 sense, that it's set by the wholesale market.
6 That we are going to bundle up these
7 externalities, we are going to make decisions that
8 we want these resources to exist, and essentially,
9 that is what we have been doing at a federal and
10 state level, with the mandates that already are in
11 place.

12 And so my view is, and it was
13 interesting hearing the Chair's comments,
14 especially, and particularly one comment about
15 North Dakota, but now I think that that is a
16 little bit of the model as we trend back in the
17 market world to something where the states
18 actually do have some significant domain over zero
19 carbon resources, renewables, hydro, and nuclear,
20 and the balance of the market where price
21 formation is going to be important is in the
22 fossil side.

1 And I think the payments to the zero
2 carbon resources are really going to be based on
3 their externalities and a desire to have them,
4 rather than their relative competitiveness with
5 fossil fire generation.

6 MR. ADAMS: Anyone else wants to comment
7 on that?

8 CHAIRMAN COWART: Paul?

9 MR. ROBERTI: Great panel. And I wanted
10 to ask Bob a question about the construct of
11 capacity markets, given what Rob said, and I
12 thought he eloquently stated about the role of
13 long-term contracts, that state regulators like
14 myself, and others are typically approving in
15 order to provide the best value to consumers. And
16 I know in the capacity market in New England, we
17 move from a commitment period that you could get
18 revenues from, I think, five years to now seven
19 years, and given what Rob said, and the way we've
20 continued to refine capacity markets.

21 I'm just wondering if you had views on
22 whether the construct should reflect the financial

1 instruments that are actually prevalent in the
2 marketplace, and perhaps have longer lock-in
3 periods for receiving capacity revenues, if the
4 marketplace really needs 20-year agreements, and I
5 don't think anything has changed recently on that,
6 in order to incentivize clean energy resources,
7 what's your view on, you know, we've gone from 5
8 to 7, why not 10, or maybe 20, as a product in
9 that market to represent what's actually going on?

10 MR. ETHIER: Boy, you really give me a
11 tough one, Commissioner. That's exactly the sort
12 of discussion we've been having internally about,
13 if the states continue to design where does our
14 capacity market go from there; because if the
15 states want to continue to do that, the MOPR is
16 probably going to become untenable for some
17 reason, right. There's going to be so much
18 political pressure on it, that it's not certain,
19 at least, that we could continue to do what we do
20 and keep those sorts of contracts, and resources
21 associated with the out-of-market.

22 So what do you do then? Certainly one

1 option is, all resources get longer-term
2 contracts, that's a very different design than we
3 have today, at least on the auction side. I think
4 a lot of the performance characteristics that we
5 have in place could still work, and actually are
6 still the right way to incent, you know, sort of
7 real-time performance, but you'll have a very
8 different construct, if you said, okay, we are
9 going to get all new resources into the market
10 with 20-year deals.

11 You could do that, but then what do you
12 pay the existing resources? That's sort of where
13 it gets difficult. You could say that the
14 existing resources get what the capacity market
15 pays them, which is going to be some de minimis
16 amount, because the new resources would no longer
17 be setting a competitive price. And I supposed
18 you could get away with doing that once, but never
19 again would you get a merchant entrant because
20 they would see that all their expectations of
21 competitive market revenues were just undermined
22 by this new regime.

1 So, you know, I think if the states want
2 to keep going down this path, and as an economist,
3 I would rather they didn't. I would rather see
4 something like a carbon tax, which I think works
5 better for a whole bunch of reasons, and
6 accomplishes the same -- you know, get you to the
7 same point but through a much broader array of
8 cost-effective mechanisms. You know, if the
9 states wanted to go down the long-term contracting
10 path, one of the implications is that everything
11 new is going to have to be through a long-term
12 contract, including non-renewable resources, which
13 the states haven't been as interested in
14 supporting.

15 So I think it's a much broader
16 discussion, and I think it will be a challenging
17 discussion just because, you know, there are
18 certain elements in New England. Rob sort of
19 mentions this, which is retail competition which
20 just makes it harder to figure out who is going to
21 sign those long-term contracts, and if you want to
22 keep retail competition, how do you have long-term

1 contracts? Who signs them? Is it the utilities
2 and then they allocate the cost out to the retail
3 players?

4 I don't know. It will require a lot of
5 coordination amongst the states to make that work
6 out. So, you know, I'm not saying it's not
7 possible, but it's a pretty fundamental change to
8 what we have today, and the states are clearly
9 going to have to be in close cooperation with us
10 to figure out what a future path would look like,
11 because I think our current one would not work.

12 MR. VAN WELIE: Rich, may I just ask a
13 follow-on question to the one Paul asked, because
14 I think it's --

15 CHAIRMAN COWART: I think you should do
16 the follow up whenever it occurs to you.

17 MR. VAN WELIE: Also, I want to make a
18 linkage here to a discussion we were having
19 yesterday, which is there's a lot of enthusiasm
20 around setting up markets at the distribution
21 level. And it strikes me that, in order to have
22 functional markets at the distribution level, one

1 of the things one has to be able to do, is value
2 the incremental provision of the reliability
3 service. You have to be able to price it somehow.

4 So, I wonder in a world where everything
5 is contracted or long-term how one does that? And
6 I'd be curious, as to whether the panel has any
7 views on that? At the wholesale level signing
8 everything up with long-term contracts, how does
9 one reveal the true cost of providing reliability,
10 so that you can make distribution level markets
11 work?

12 MR. ETHIER: I have to admit I haven't
13 put a lot of thought into distribution-level
14 markets, but it does get -- when you have lots of
15 long-term contracts you don't get the same
16 transparent pricing that we currently provide in
17 our markets, that's for sure. Not that there are,
18 you know, sort of aggregators, or aggregations or
19 average prices that you can look at, but it's not
20 as transparent and it's not as necessarily as
21 liquid.

22 In terms of the cost distributing out to

1 the retail level, there would be a whole other
2 level of cost allocation discussion that we would
3 have to enter into if we had long-term contracts
4 that were entered into at the wholesale level, and
5 would have to pass those down to the retail folks.
6 I think that would be have done by the states, I
7 don't know how we do that, as MISO.

8 MR. DOMINGUEZ: I think the answer to
9 your question is you don't -- I mean, if you have
10 long-term bundled contracts for these resources,
11 and what you are trying to distill out is some
12 transparent price for some component of the value
13 proposition like reliability. I don't know how
14 you do that in a world where you have long- term,
15 bundled contracts. I mean that's one of the
16 reasons we tumble to markets in the first place is
17 to try to distil out the different components as
18 we unpack energy, ancillary services and capacity.

19 And so if the notion here is to
20 repackage all of those things in addition to other
21 externalities around environmental attributes, and
22 then say, well, what's the component price you are

1 paying for reliability, I don't think you could do
2 that from a market standpoint, and it's a market
3 design standpoint. I think where you probably do
4 that, is in judgments at the Commission level, in
5 terms of how they justify the price level for that
6 long-term contract for distributed resource.

7 And there, you know, and I think the
8 route proceeding then gives us a little bit of the
9 roadmap, one might say that building solar, for
10 example, on the part of the distribution network
11 may have the need for other investments in
12 substations or hard investments. And there I
13 guess, Gordon, you can make some sort of judgment
14 that the component value of reliability at that
15 part of the grid, is worth the eliminated need for
16 the hard investments, but in terms of the market I
17 don't see it.

18 MR. GRAMLICH: You know, there are two
19 frameworks in the country, one is kind of
20 vertically integrated traditional planning model,
21 and the other is the full market model. If you
22 are in the full market model I think you define

1 the services the system needs and create a market
2 for each one. And that hasn't changed a lot,
3 although as I said, there is more need more need
4 for flexibility so, you know, kind of an hour,
5 two-hour product and we where you have suppliers
6 and buyers for that, I think there's a need for
7 that, and I would roll that down to the
8 distribution level.

9 I have not thought about it a lot, I
10 know those in New York are thinking a lot about
11 it, but it seems like you value, take the services
12 that are needed by the system and create a market.

13 MR. VAN WELIE: How does it get revealed
14 though? I mean, that sort of thing that occurs to
15 me is that once it's -- once the bulk of the
16 service is bundled in the contracts, there's only
17 a very small portion of the value that's actually
18 visible to the marketplace, so how do you actually
19 get somebody to invest, in supplying that service
20 just from a merchant point of view, or do you --
21 or are you forced into saying, I recognize a need
22 and I'm going to sign another long-term contract

1 with this type of technology to satisfy that need?

2 MR. GRAMLICH: Right. So, if you are
3 allowing for bilateral contracts as opposed to a
4 system where everything is part of the pool, and
5 there's only sort of short-term trading, then I
6 think you have to assign out the obligation, so
7 the system needs, you know, X-widgets of
8 reliability service and, you know, each
9 load-serving entity have their proportional share,
10 or however you share it out of that widget
11 obligation. And then they have to go into the
12 market and buy their widgets and the suppliers of
13 widgets sell, and they can sell, and the willing
14 buyer and seller can sign a 10- 20-year contract
15 if they so choose; or they can just go to daily
16 spot market.

17 CHAIR HEYDINGER: And I'm sure
18 Commissioner Zibelman has thought a lot about
19 this, but I think as a Commissioner, I also do a
20 little bit of work around the remaining state
21 authority over telecommunications. And in some
22 respects this is the same point as the telephone

1 companies are increasingly deregulated, there's a
2 big question of, who serves the customers at the
3 end of the line, where the costs are much more
4 expensive? And it's essentially the reliability
5 question as well.

6 How do you create the right, either
7 obligations or incentives, to assure that those
8 least cost-effective customers continue to get the
9 reliability that we've come to depend upon?

10 MR. ROBERTI: Could I just follow up on
11 that one to complete the circle on this? Given
12 the panel yesterday, given the retail versus
13 wholesale dynamic, and what, Gordon, you just
14 said, I guess the final question to Bob would be,
15 is an energy-only market like ERCOT really the
16 preferred way of accomplishing all the goals
17 rather than the bifurcated approach for the
18 capacity market? And even a seven-year -- I guess
19 seven years, was probably just a midpoint to
20 balance that interest between what states are
21 doing, and the market principles that you need.

22 MR. ETHIER: That's another debate that

1 we've had many times internally, of energy-only
2 versus a capacity market. To me, the benefits of
3 energy-only aren't quite as clear cut, or I don't
4 necessarily know that they resolved the issue that
5 you are talking about. You know, as Joe
6 mentioned, he has some real concerns about energy
7 market price formation in a world where you have
8 all these different subsidies coming from
9 different entities that have these sort of, maybe
10 unintended consequences in the energy market.

11 So, all of a sudden you are throwing
12 your lot in with an energy market that's got all
13 these -- you know, that already has concerns
14 around it (a); (b) then you have to have scarcity
15 pricing nets that's radically high compared to
16 what we, at least, in New England are used to; not
17 that it's not rational given that you have an
18 energy market, but you have to be prepared to live
19 with that.

20 And third, and maybe most problematic is
21 in New England, you know, we have reliability
22 standards that are sort of maybe beyond our

1 control. That is, we have certain criteria that
2 we are obliged to aim at, that we don't have as
3 much flex about. You know, I'll be certainly
4 happy to talk about whether those are sensible
5 reliability standards or not, but that's --
6 probably shouldn't get into that today.

7 Where, it's my understanding that ERCOT
8 and the state of Texas have a little more
9 flexibility about what reliability level they are
10 comfortable hitting, which seems to me, pretty
11 important in an energy-only market because, you
12 know, you are setting these scarcity prices that
13 are only going to come into play, you know, 15
14 days, 20 days a year, and you are trying to drive
15 a 30-year investment off of this one number that
16 you are setting, or these few numbers that you are
17 setting. And you don't know how the market is
18 going to react, because that can be high enough,
19 it's going to be often enough? Are they going to
20 meet the reliability standard that you want to
21 hit?

22 Versus in a capacity market, you know,

1 when we run the capacity market we have a pretty
2 good idea where we are going to end up on that
3 reliability curve, and we design our market to
4 land about where we are going to land. You know,
5 not that you can't operate it, obviously, and I
6 applaud ERCOT for trying it, but part of me is
7 also happy that they are trying it, not us.

8 MS. ZIBELMAN: Can I follow up with that?

9 CHAIRMAN COWART: Let me just make a
10 statement here. There's lots of interesting
11 conversation here, I'm trying to keep track of
12 everybody's cards in the order they went up. And
13 just to give a heads up, I have Audrey and Tim
14 next, followed by Chris and Sonny, and I'll just
15 work down the list.

16 MS. ZIBELMAN: First of all, I think
17 it's -- I appreciate the panel, and the candor,
18 and I think it was a -- To me the conversation
19 that Rob Gramlich set out, which is this, really
20 ends up, can be a debate that we had in the '90s
21 around capacity planning, and whether retail
22 competition can work we can think about these as

1 sort of options and say, we'll, a lot of these
2 issues could be eliminated if we move to the
3 California model, and just eliminate retail
4 competition and put the utilities back in the
5 planning mode, and allow the markets to be
6 residual markets.

7 Or, we could think about the ERCOT
8 model, and say, well, maybe we just rid of the
9 capacity markets, but I think what I'm disturbed
10 about is the fact that we have to have the
11 conversation, I think in a way that absolutely
12 addresses the hands we are dealt. I mean, it's
13 nice that we have this debate internally.
14 Wouldn't it be great to have a carbon tax? Well,
15 we are not -- We don't have a carbon tax, but we
16 do have states who have legitimate interests, and
17 I think the friction we are seeing now, because of
18 low gas prices, is that in the restructured states
19 you have states who are not able to serve what I
20 think everyone would agree, are legitimate state
21 interests in a way without running into litigation
22 risks between state and federal rights.

1 And I think that's -- that's what we
2 really sort of need to talk about, is there a way
3 that the markets can accommodate the state
4 interest? Or, do we have to look at a new
5 restructuring, because I don't think those state
6 interests are going to go away at any time soon,
7 and I know we talked about a couple of them. But,
8 you know, let me put this, I would like to, sort
9 of the panel, and what I would say is, are we
10 wrong in saying these aren't real interests that
11 the state should pursue.

12 I mean, one is resource mix. You know,
13 clearly the states have an interest in things like
14 carbon, reduced technologies and fuel diversity.
15 The polar vortex was not that long ago, that a lot
16 of us saw very, very high prices because of an
17 over-reliance on one fuel, and we worry about
18 reliability, and we worry about fuel diversity, and
19 we think about the fact that we are at that point
20 in time, low interest rates, low tax rates,
21 ability to create renewable infrastructure, and we
22 would like to take advantage of it.

1 Secondly, it's with consumer
2 affordability. I mean, we worry about the
3 ultimate price to the consumer, so if you have
4 things that we know are cheaper, because we know
5 long-term contracting reduces financing costs, and
6 therefore reduces the cost to the consumer. Can
7 we say that the market should be able to
8 accommodate that in a fair way? The other is
9 allocation of costs. I mean, the states do worry
10 about low-income, and seeing how they participate
11 in the market, and those issues aren't going to go
12 away.

13 Other questions that are really becoming
14 important to us, is public safety. I mean, one of
15 the things that is becoming increasingly apparent,
16 you know, low gas prices are wonderful. We like
17 to maintain diversity, that's why we are having
18 this discussion with the nuclear power plants. If
19 they were in an integrated state the question that
20 Bev would ask is: Are the capital investments
21 prudent? And then she would make sure that the
22 nuclear plants are being funded even if they are

1 market in MISO, because she will be making a
2 determination she wants to retain nuclear.

3 I worry that if the markets aren't
4 giving nuclear owners enough capital, are they
5 going to be making decisions that are really going
6 to put public safety at risk, and so how do we, as
7 a state, supplement what the markets are doing
8 because we might want to maintain those
9 carbon-free resources. And then lastly, is
10 economic support. I mean I think we can't get
11 away from the fact that we have a lot of
12 communities across the country are really
13 depending on generators for a good piece of their
14 tax revenue, so when these plants retire, and we
15 are seeing this in New York, where could be very
16 much affected communities, that becomes a big
17 issue for the state.

18 So, to me, the issue has got to be, we
19 can't say: Oh, it's really bad or the states to
20 pursue the legitimate interests, I think we have
21 to have these discussions, and that's what I'll go
22 back to, is maybe, in a low gas market, we really,

1 we need to think too, do we need capacity markets?
2 Should be saying maybe we should go back to some
3 sort of local procurement, and allow the markets
4 to be residual markets because low gas prices are
5 just changing the nature of the game, and
6 shouldn't the markets be flexible enough to deal
7 with the reality of the changed dynamic?

8 As opposed to saying, well, because the
9 dynamic has changed, we are going to have to
10 mitigate, and we are going to prevent the states
11 from going forward. I think that's, in my mind,
12 where the discussion needs to be taken.

13 CHAIR HEYDINGER: Audrey, thanks very
14 much. I just want to add, too, that you raised
15 this point about many other interests that expand
16 the scope of how our decisions have to be made.
17 And the one about closing generators in
18 communities is the big one, and so that in
19 Minnesota, raises the question of -- we have a few
20 large coal plants that we are planning for closing
21 in the 2024 time horizon, which you might say
22 gives the community plenty of time to plan. And

1 we would typically look at reducing -- replacing
2 those resources in a way that would meet renewable
3 energy goals, be cost competitive.

4 And in Minnesota we've often required
5 the utility even though it's to serve their own
6 load, to go out for competitive bids, so they may
7 not be the builder and owner of the resources
8 going to serve that. So then what happens? Well,
9 utilities get nervous, and go to the legislature
10 to say, you know, that's a non-starter. We need
11 that new generation to be located in the same
12 community, there are other political and economic
13 reasons why it should be placed there, and they'll
14 put us through a competitive resource acquisition.

15 And so I think it's no surprise to
16 anyone that rational step-by-step planning also
17 gets bypassed in many ways, both at the state
18 level and the federal level, frankly. These
19 aren't perfect worlds in which we operate where we
20 can put all of our policies in place, and then try
21 to make decisions that are balancing a variety of
22 interests. A lot of times we are doing that with

1 one hand tied behind our back, at every level.

2 I'm not suggesting that's unique to Minnesota, or
3 even just to the state governments.

4 Yes. And that's sort of this final
5 point I wanted to make. The markets are good
6 commodity markets, the commodity pricing isn't the
7 end all and be all of the policy, and that's what
8 I'm thinking we need to get the markets to sort of
9 think about how do they do their jobs in this
10 complexity of issues that we have to deal with on
11 a policy level.

12 MR. GRAMLICH: And I'll just add
13 quickly. I think those are exactly the right
14 questions for each state to consider. I think
15 they are all legitimate state interests and
16 they've all traditionally been in the domain in
17 the states, and some states have chosen to, sort
18 of, delegate or allow regional entities to perform
19 some functions related to those, and I think there
20 are a number of advantages to doing so.

21 But, again, with things like long-term
22 contracts, I would say look, the ones looking out

1 for retail rate payers ultimate costs, or the
2 state regulators in the states, and if they want
3 to preserve long-term contracts, then I think that
4 should be one of many issues that the RTOs and our
5 ISOs should have their markets operate on top of.
6 And there are countless public policies underlying
7 the power system and the transmission that's been
8 built, and the various subsidies that remain for
9 all generations, versus have their form of
10 subsidies and, you know, that hasn't changed.
11 And, you know, in many respects the wholesale
12 power markets just sit on top of all of that, and
13 if the state wants to do some of those things, I
14 think they should be able to.

15 MR. VAN WELIE: So, Rob, can I just ask
16 as follow-up question here. I'm not sure of my
17 facts here, but it seems to me that part of the
18 challenge here, is can you design the market to --
19 and I'm really coming off Audrey's point, to give
20 the states what they want in some way, without
21 having to use a whole barrage of different
22 long-term contracting arrangements to buy the next

1 increment of what you think is needed. And I look
2 at Texas as an example, where they lowered the
3 barrier to entry for wind, and by putting in the
4 crazy investment, \$6- \$7-billion investment.

5 My understanding is that the wind then,
6 10,000 megawatts of wind were built without
7 long-term contracts for the most part. So it
8 seems to me there's an example of a very
9 market-compatible solution, which is, you know
10 that there's a barrier to entry which is the
11 transmission investments, so you lower the barrier
12 to entry, and then the combination of the natural
13 pricing that's available in the market plus the
14 production tax credits, does it's work, and you
15 get the entry that you are looking for, as opposed
16 to having to go and sign contracts to the wind.

17 So I just -- that's my perception of
18 what happened in Texas, and I was wondering
19 whether you could either confirm that or just
20 expand on it.

21 MR. GRAMLICH: There are some long-term
22 contacts. I actually don't know the full details

1 of percent there are, certainly a lot of merchant
2 projects there, and so I don't -- I mean there are
3 a lot of attributes of the Texas market and they
4 could be very amenable to wind, and I would say
5 all new generation in the open -- you know, the
6 open market and the trading, helps a lot. You
7 know, it gets back to this, it's an almost age-old
8 question now of energy-only versus capacity
9 markets, and personally I haven't spent a lot of
10 time thinking about that lately, but it's still,
11 you know, I think it's a very relevant question,
12 and probably some of the changes in the market do,
13 you know, cause entities like yours to think about
14 it, the states to think about where do we want to
15 go on that.

16 MR. VAN WELIE: Rich, back to you,
17 queue.

18 CHAIRMAN COWART: All right. That means
19 it's to Tim.

20 MR. MOUNT: So I just would like a
21 comment about energy-only market, so I personally,
22 am rather skeptical that they can remain viable

1 with a high penetration of renewables in storage,
2 and as an indication, I just read a paper about
3 the Australian market, where they are proposing to
4 put the cap at \$80,000 a megawatt hour, if either
5 of the Commissioners want to go and tell the
6 Governor that, I'd like to go to the meeting with
7 them.

8 But anyway, I want to get back to Bob
9 and the New England market. It seems to me
10 inevitable that long-term contracts are going to
11 be attractive to new, particularly, wind farms
12 and, you know, I see that side. What I don't see
13 is why I want to buy that contract. And so my
14 question is, when I sign up for that contract, am
15 I trying to sort of get out of things, like
16 undermining the capacity market? Do I pay for the
17 extra reliability? I'm purchasing a very variable
18 source, you know, somewhere up in Maine, and
19 wherever I am, in Harvard or somewhere, that my
20 load profile is pretty well behaved. So how do I
21 -- maybe don't turn up on the peak. I mean, how
22 do I pay for these sorts of extra ramping

1 reliability time costs.

2 MR. ETHIER: Okay. And I can, I'm going
3 to try to combine my answer to your question with
4 a -- sort of also address the Commissioners a sort
5 of helpful enumeration of all the state concerns,
6 because I think they are connected. The entities
7 signing these long-term contracts in New England
8 are typically state-backed entities, and they are
9 signing contracts that are sort of embedded in
10 there, are netted out of the contracts are the
11 revenues that the wind resources are getting in
12 the wholesale market.

13 So, it's up to us designing the
14 wholesale markets to make sure that the wind
15 resources face the price signals at the right
16 time. So to the extent that the wind resource has
17 to pay to generate during some hours, because they
18 make the system less reliable by continuing to
19 generate, that needs to be reflected in the money
20 that we pay or don't pay to the wind resource, and
21 with reflected into their willingness to sign a
22 long-term contract with a certain price with a

1 utility.

2 As far as the things like ramping and
3 that goes, we don't actually have sort of a
4 charge-back mechanism for reserves. Reserves are
5 socialized, so I know there's a lot of discussion
6 about whether wind resources do or don't impose
7 additional reserve costs on the system, and we
8 don't, you know, at this point we just charge out
9 all those to load, so there's not a specific
10 charge-back to any specific resource about any
11 reserve or emergency costs that we may incur.

12 But sort of stepping back from it, I
13 think it's -- I think we are teeing up sort of the
14 fundamental decision that really is -- relied on
15 the states and is, if the states want to sign
16 long-term contracts because they feel that that's
17 the best way to achieve their policy goals, it's
18 going to require some rewriting of the wholesale
19 markets.

20 You know, I think there are two paths we
21 can go down and ISO, at least the one that I
22 worked for, we are trying to say, if you want to

1 stay in the current market, here are the tools
2 that actually will work well, that will allow us
3 to continue on this current path. But if you want
4 to go down a different path, and you want
5 different form- control over the generation mix in
6 your region. If RGGI is not enough, if SO₂ and
7 NO_x's aren't enough, if RPS is not enough, then
8 you'll probably need to come up with a wholly
9 different approach that probably involves
10 long-term contracts, and ripping up what we do
11 today.

12 And those long-term contracts have
13 consequences; (a) they have to be for everybody,
14 which a lot of the states, at least in New
15 England, I don't think really are interested in.
16 They are not interested in signing contracts for
17 lots of generation, they just want the generation
18 they want. And it also gets you back into the
19 boat that we tried to get out of 15 years ago,
20 which is long-term contracts sometimes don't look
21 so good when you are partway through the
22 contracts, but you can't get out of them.

1 So, I'm not saying it's easy, and I
2 completely get that the states have a lot of
3 interests that they want to meet, but, you know,
4 as an RTO, the best we can do is say, here are the
5 choices that you have, you know, here are the two
6 paths, we are on one, here is what works best with
7 the current path, or you can do other things that
8 are going to create a lot of friction in the
9 current, or we can talk about going down some
10 different path which has its own pitfalls and
11 challenges to overcome.

12 So, you know, if there's anything I want
13 to get across today, it's that sort of choice at
14 that sort of level, is maybe the path we are
15 headed towards, depending on how the states want
16 to push their public policy objectives.

17 CHAIRMAN COWART: Sonny, I think you are
18 next.

19 MR. POPOWSKY: Thanks. I wanted to get,
20 talk to you, Joe, a little bit about that hybrid
21 approach you talked about. As you remember, when
22 we restricted in Pennsylvania, I guess the

1 assumption was that the generation would -- you
2 know, you would get the single market clearing
3 price on the energy side. You'd get something
4 like the capital cost of combustion turbine, on
5 the capacity side. And that worked real well for
6 you guys in MCF and my assumption, frankly, the
7 one thing that I always say, is that these nukes
8 would run forever. They were money machines. It
9 would cost a penny or two to run them. You charge
10 a nickel or a dime, and you just run forever. Now
11 suddenly, we are seeing Exelon saying we are going
12 to have to shut down -- we may have to shut down
13 our nukes in Illinois, New York, Massachusetts.

14 They need a different pricing model, and
15 should that pricing -- would we be better off, we
16 need a rate parity, if we want to keep these
17 things running, let's just take the Minnesota
18 approach, and put the capital -- you know, return
19 to some kind of cost-based model, rather than one
20 where you pay the market price when market prices
21 are high, and make we pay enough to keep you
22 running when market prices are low.

1 MR. DOMINGUEZ: Sonny, I guess the first
2 thing is we definitely do need a different pricing
3 model, it's self-evident from what's already
4 occurring in these markets. We are, in our
5 Midwest units, Sonny, we are seeing 15 percent of
6 our off-peak hours trade negatively every year.
7 And so we are paying back the system at that
8 point, and the reality is, as we go back to 2002
9 or 2003, we weren't seeing that phenomena. And so
10 we are seeing an impact of distortions, we
11 certainly have the low-gas-price issue.

12 I'll broaden your horizon a little bit;
13 it wasn't always the view that nuclear plants
14 would be cash machines, right. I mean the
15 original stranded cost payments were made because
16 the supposition was that the nuclear plants would
17 not be cash machines. In fact, would be losers in
18 the market for a period of time, when gas prices
19 went up, they were cash machines, and they did
20 very well.

21 But as we've seen gas prices come down,
22 nuclear economics become quite elastic with gas

1 prices, and then we also have this impact
2 associated with the fact that a lot of resources
3 in the market are getting payments that cause them
4 to act in ways that traditional market
5 participants would be active. Back in the days
6 when we were originally thinking about markets in
7 Pennsylvania, I don't think anybody was thinking
8 that there would be out-of-market payments that
9 would actually attract people to bid in that
10 negative 40, negative \$50 a megawatt hour just to
11 keep running to seek some sort of payment.

12 So, we have this new world we are living
13 in, and I suggest he hybrid much, because I share
14 Chair Zibelman's concerns. You know, the
15 conundrum we are in, is that if we are at FERC and
16 we are talking about carbon, often times, the
17 predominant view I would say of FERC is, we don't
18 regulate carbon, that's not within our
19 jurisdictional province under the FDA. If we then
20 get into a situation where FERC is saying, we
21 can't regulate carbon, and it is also implementing
22 things that interfere with the states' ability to

1 regulate carbon, then I would suggest to you that
2 these markets are going to be very short-lived.

3 They were ultimately at the very
4 beginning, voluntary endeavors by the states, as
5 you pointed out, and that willingness to continue
6 with markets isn't going to go forward if the
7 federal government who are blocking the states,
8 were being unable to act on its own, forces us
9 into a position where we have to choose markets or
10 deal with carbon with many of us here in the room
11 waving that carbon mitigation, is a far more
12 important thing than preserving a competitive
13 market at the end of the day for our country and
14 for humanity.

15 So I do think we do need a different
16 pricing model. What I'm suggesting to you is that
17 units that have a particular environmental
18 characteristics needed to be included in that
19 pricing model. I think they will draw revenues
20 from the residual model, from the residual market
21 that will be fossil market. They'll get some
22 energy in capacity payments, whatever those things

1 might be, but let's face it, let's not kid
2 ourselves. The construct today is whether it's a
3 federal payment PTC or the ITC, or state RPS
4 payments, we already have a hybrid model, where
5 the dominant income stream for many resources is
6 outside of wholesale energy market revenues,
7 that's just the truth of it today, and we all
8 certainly understand that.

9 I think the difference is nuclear. I
10 think the question you pose is a very good one.
11 How far do you go? Are you just ensuring that
12 nuclear plants remain in operation during
13 difficult times? Or are you saying, hey, if gas
14 prices take off again, I want a share of the
15 profits, so that they don't become cash machines.
16 I think those are all tradeoffs, and I think it's
17 -- I think that this is very clearly something
18 that the New York Commission is going to wrestling
19 with over the next few months.

20 How to make that trade off in a way that
21 doesn't produce asymmetrical results where it's a
22 win for industry but consumers aren't getting the

1 benefit in times of high prices. I think those
2 things need to be sorted out, but I am no longer
3 confident that the wholesale market as designed,
4 and given the increasing penetration of renewables
5 is going to provide revenue adequacy for the
6 machines that currently in America, produce over
7 60 percent of the nation's zero carbon
8 electricity. And the only machines that we have
9 that produce it, on demand when our customers need
10 it, without water being in the river, the wind
11 blowing, or the sun being out.

12 I think they are unique, I think they
13 are our bridge to a future with a lot of
14 renewables and a lot of storage. I think we need
15 to preserve the machines, and we need a new
16 construct to do that. And again, I applaud the
17 New York Commission for stepping forward and doing
18 that.

19 CHAIRMAN COWART: Paul?

20 MR. CENTOLELLA: I somewhat hesitate to
21 jump in on this, because I am sort of veteran of
22 the energy-only in the capacity market debates,

1 and the MOPR debates as a Commissioner, but I --
2 So let me give you a little context and then ask a
3 question. I mean, I always felt, historically,
4 when we were talking about energy-only, and
5 capacity markets. The capacity market, it really
6 ought to be a fall back.

7 I mean, you are allowed more scarcity
8 pricing in the energy market, and you'll create
9 the flexibility that that creates, and you'll
10 maybe have a capacity requirements, but not have
11 the capacity requirement be necessarily be the
12 driver for all of the new generation that comes
13 in. I also, as a Commissioner, was fond of saying
14 if -- Well I certainly wouldn't want to enter into
15 a long-term contract to wipe out the new entry.

16 If my neighbors down the road and some
17 other state want to do that and want pay an
18 uneconomic price, I'm more than happy to benefit
19 from the low market prices, because I don't think
20 that's a sustainable model for any state. You
21 know, you are going to end up wiping yourself out
22 of the competition for the new industry if that's

1 the choice that you make.

2 But I want to come back to, you know, a
3 question of how we -- and I also want to say that
4 I fully agree that we ought to be looking at
5 carbon prices rather than subsidizing a bunch of
6 things, and I want to come back, though, to the
7 question of, how do we get closer efficient
8 economic markets rather than -- I mean, yes, we
9 call capacity a market, but it's really an
10 administrative requirement that says, you know,
11 that these have to have this much forward
12 obligation whether or not their individual
13 customers would have actually chosen that or not.

14 And so I want to come back to the
15 question of -- because I sit here troubled, what
16 can DOE do about all of this given that we all
17 know that this is going on and stakeholders
18 processes in it (inaudible). And I come back to a
19 question that always struck me as an important
20 question when we were having the energy-only
21 versus capacity market today, and that is the
22 question of, can we develop metrics so that we can

1 better tell whether or not, you know, we are in
2 fact developing the capacity where it's needed.

3 So that, if in fact, you know, we have
4 to develop an alternative to MOPR, which is kind
5 of a -- this is sort of a sledgehammer, sort of
6 approach to dealing with this but, you know, we
7 actually have to look at whether or not, the
8 combination of markets that we have is creating a
9 liquid forward market, is creating, you know, a
10 real long-term contracts voluntarily for people to
11 enter into, you know, these kinds of arrangements.

12 Can we think about a question of
13 metrics? Can we ask DOE to be thinking about a
14 question of, what would be appropriate metrics to
15 know whether the market structures that we have
16 are actually working to produce a viable secure,
17 long-term supply? And what would those look like
18 in your view?

19 CHAIRMAN COWART: Rob?

20 MR. ETHIER: Well, certainly to me the
21 most immediate one would be -- Well, I share your
22 -- Well, I have my own concerns about reliability

1 standards, but as long as we have them, that's a
2 metric, right? Are you meeting your reliability
3 standards that are imposed on you by your -- or
4 that you agree to live by for your reliability
5 entities? So, for us it's MPCC and NERC, and it's
6 the one they intended standard which we all know
7 and have debated many times.

8 You know, are, over time, the markets
9 meeting that without needing extraordinary help.
10 I think in New England, it's only the last few
11 years that have been useful, because before that
12 we just had such a large overhang that it's sort
13 of an irrelevant period of time. I think in the
14 last three auctions it's been -- the signals have
15 been, yeah, the markets are working to meet that
16 sort of very basic metric. It would be great to
17 have a few more years before we draw any
18 conclusions for sure, but the signs, at least
19 right now, are pointing in the right direction.

20 To me, that's probably the most
21 important one as long as you are going to have
22 reliability standards. You know, if we went to

1 energy-only, and we said, the value of a megawatt
2 is X, and that's what we are going to pay, and if
3 we can't get it at that, we won't have any
4 electricity, or we won't have as much as people
5 would want. We could go that route too, but that
6 requires a lot of change beyond the RTO level.

7 MR. GRAMLICH: So, this brings me back
8 to, you know, FERC looking at this in the early
9 2000s, and there are some FERC whitepapers at the
10 time which basically said, look, reliability
11 services are public goods, and the technical
12 economic definition of that is non rival and non
13 exclusive, and in the electricity markets you
14 can't physically curtail free-riders and
15 therefore, you know, it's of social benefit, but
16 the private parties won't, on their own, procure
17 the needed services.

18 Therefore, something is needed, and then
19 the choice for the Commission was, okay, do we
20 require capacity markets, or do we simply allow
21 them and the -- I can't know if -- I don't
22 remember if this is written down, but ultimately

1 the Commission did not require them, but said, in
2 the theory, at least, as I recall it was, you
3 could do the energy-only market to just price the
4 heck out of the free- riders when the day comes,
5 and you really need the power and they didn't show
6 up with any.

7 And it's, I think, Tim said, you know,
8 that can lead to a very high energy price, and I
9 know Pat Wood was comfortable with that model in
10 Texas, and that was his thinking coming into FERC
11 because, well, let's just use that, but if regions
12 don't want to get to that high spot energy price,
13 you know, particularly as they are kind of doing
14 this right after California, then okay, got it.
15 You know, so let's allow a capacity market.

16 MR. VAN WELIE: I have to chuckle,
17 because I do need to refresh your memory, because
18 I very distinctly recall getting an order FERC in
19 2003 saying, you shall implement a capacity
20 market, and the reason was we were entering into
21 all of these out-of-market contracts to keep the
22 resource base in place. So, we had a situation

1 which if fear returning to at some point, but the
2 construct at the time was, because of constraints,
3 there were certain resources that weren't making
4 enough money, but we needed them for reliability,
5 so we had to enter into reliability contracts, and
6 in the end, the direction we got from the FERC
7 was, you need to do something about that, you need
8 to get that money into the market, as opposed to
9 having inside contracts; and we were told to go
10 and put in a capacity market.

11 MR. GRAMLICH: I assume you read it. I
12 don't recall that, I mean it could be a lesser
13 evil of the side reliability payments, I don't
14 know. But, you know, in terms of standard market
15 design and what we were requiring nationally,
16 that's what I recall, and I think the same goes
17 for not just long-term planning capacity, but
18 short-term operating, which is all these services
19 are things that no individual wants to go out and
20 say, hey, I want to get some short-term operating
21 reserves, or some frequency response.

22 These are system needs, right? And so,

1 therefore there is a need for a public policy, or
2 a regulatory regime to either require the
3 procurement of them or, you know, put it into a
4 market.

5 MR. CENTOLELLA: So, just to back up a
6 little bit to the debate from the yearly 2000s, I
7 mean, the MISO position at that point, or at least
8 the MISO management position at one point is you
9 could have either a forward contract, or you could
10 have a security interruption price, at which point
11 you would say, I'm ready to get off the system,
12 but you had to have one or the other. And that
13 gets you to the same place, and put some limit on
14 how high the price can go, and creates an
15 incentive for rendering the contract. This is
16 what we anticipated people would do.

17 MR. DOMINGUEZ: Could I just jump in? I
18 think you've -- first of all, I don't think we
19 have real markets when we talk about the capacity
20 product. It's an administrative market, where the
21 only thing that is a market about it is we have
22 bids in an auction, but even the seven- year lock

1 in, in New England, that's not available to our
2 existing resources in New England, it's all
3 vintage priced, and it's one particular product,
4 one year of capacity, three years out, and the
5 difference between, frankly, Texas and every place
6 else, is that Texas doesn't have an administrative
7 model in place, that says, we are going to
8 guarantee we are going to have enough generation
9 in place to meet peak demand.

10 They are hoping that the prices alone
11 will bring the power plants there, that's not a
12 choice that a lot of the states we do business in;
13 we do business in Texas are willing to make. But
14 going back to the metrics, one of the metrics that
15 would be interesting, what is the required carbon
16 price to literally do what you are suggesting we
17 do, and take the subsidies out of the market?

18 And I think what we'd find, is for many
19 states that have goals around solar, for example,
20 or goals around wind, that required carbon price
21 would have to be a pretty muscular carbon price.
22 I'm talking over \$100 a ton of CO2. And that

1 carbon price would have a lot of effect on the
2 market. I think we just have to be honest with
3 ourselves that if, again, you take the DOE report
4 that issued in the spring of '15, and you say,
5 okay, DOE has estimated the cost of wind to be 70
6 to \$90 of megawatt hour. I mean, unsubsidized
7 basis. DOE has estimated the cost of new nuclear
8 to be 140 or \$150 a megawatt hour on an
9 unsubsidized basis. And wind didn't -- or solar
10 in a distributed form, in the hundreds of dollars,
11 right?

12 Are we really saying that it's realistic
13 that we are going to impose a carbon price that is
14 going to bring these resources in the market? Or,
15 again, should we just start to begin to realize we
16 are in a hybrid market, and until these resources
17 that we really like show dramatic, and I mean
18 order of magnitude changes in their cost
19 structure, I think it's unrealistic that we are
20 going to get all of the results we want simply
21 through the imposition of a carbon price, and
22 achieve what we also want to achieve on the

1 consumer price side of the equation.

2 So as I just began, I think we are in
3 this space we often to each other, boy, it would
4 be nice if we took all the subsidies out, just had
5 a carbon price. DOE and others need to do a
6 pretty good job of explaining exactly what that
7 really would mean in terms of consumer prices, and
8 in terms of the needed carbon price, and I think
9 once folks see those numbers, we are going to
10 realize that we are not going to be in a pure
11 market world.

12 MR. GRAMLICH: If I could just respond a
13 little bit. I mean if you -- I suggested a model,
14 that's out in the press yesterday of: no
15 additional targeted incentives at all, but just if
16 you put in a carbon price or a model for the
17 Midwest region, a significant carbon reduction,
18 they got something like 200 gigawatts of wind,
19 just on that basis.

20 So I think we are going to a future of
21 open competitive markets with the externality
22 factored into the price, and that's sort of the

1 natural evolution, and I think the wholesale power
2 market structures are generally robust to that
3 future, and I don't think it's an either or
4 capacity markets, carbon price would have over the
5 wholesale power markets if you can sit on top of
6 whatever environmental regime we have; generally,
7 quite efficiently.

8 MS. ZIBELMAN: Can I just follow up on
9 Joe's point, on the role of the DOE, because I
10 think this is an important issue. I was just
11 whispering to my neighbor here, "Isn't he glad
12 that Southern company did what Southern company
13 did." But the fact of the matter is, we were
14 looking at in-city gas prices in New York City
15 last week, and they were just about a buck.

16 Several years ago those prices were \$15.
17 I do think there's a role for the DOE to say, we
18 have to get realistic about this, because the
19 premium we would have to pay above those gas
20 prices today, is really astronomical, and that's
21 why I think we have to be more surgical about how
22 we are starting to approach this issue because we

1 just never have had these kind of gas prices t
2 deal with, and I think we are sort of fooling
3 ourselves if we say this could be just in LMP.

4 There is truly an issue that we have to
5 address as a country in terms of, if we once
6 maintain resource diversity, but we recognize you
7 want to take advantage of low and natural gas
8 prices, what does the mix need to be -- look like,
9 and how do you implement policies around that?
10 Because I don't think -- no matter what we do
11 around the capacity price, it's never going to
12 really -- or the market, it's never going to
13 really address this issue of around what's really
14 happening in -- around the fundamentals of fuel.

15 MR. VAN WELIE: Actually, Audrey, I
16 agree with that last point. So, let me just -- I
17 think what you are doing in New York is going to
18 be really interesting to watch, which is I think,
19 and if you look at what the states are doing with
20 regard to -- with they are heading with renewable
21 energy standards and so forth, the question is: Do
22 they want to do something similar for nuclear in

1 the end?

2 CHAIRMAN COWART: Roy?

3 MR. THILLY: Thank you. First of all I
4 think the distinction that Rob drew between where
5 there's retail competition or not is really
6 fundamental to this issue. And Audrey is right,
7 raising the right questions. But I do wanted to
8 hold this dichotomy between simply markets, and
9 short term-capacity markets, or long-term
10 contracts, from the point of view of where I came
11 from which is an obligation to serve state, or
12 municipal and co-opted as an obligation to serve
13 its load. What we are looking for, we are looking
14 for is a diverse portfolio of capacity resources,
15 short, intermediate and long-term.

16 Long-term is equivalent to rate base in
17 the investor-owned world. It's very risk to be
18 all long-term, it's very risky to be all
19 short-term, and not to have energy or protection
20 in that market. So, if the markets can provide
21 various forms of capacity in terms of capacity, I
22 think that's not dissimilar to what the states are

1 looking for in terms of balancing fuel diversity,
2 and a lot of other concerns, to put that mix
3 together.

4 And then markets need to serve that
5 need, I think. But the other observation I wanted
6 to make is on the nuclear side. We have one
7 nuclear power plant with constant shutdown, and
8 that was in the market, in the energy market, and
9 the energy market only, couldn't survive. The
10 amount of coal generation the following year went
11 up in the state by about 25 percent. A little bit
12 of that was the change in gas prices, almost all
13 of it was nuclear being supplied with (inaudible)
14 by coal. If you are trying to reach carbon goals,
15 that is a really scary proposition. And so I
16 think we had to come up with some sort of
17 structure that doesn't rule nuclear out of the
18 market. It's certainly without long-term
19 contracts I don't see how you could possibly have
20 new nuclear units.

21 CHAIRMAN COWART: All right. I'll call
22 on myself. I've whittled down my comments to just

1 a couple. One observation I wanted to just echo
2 is that we do need to keep in mind the
3 conversation we had yesterday, as Gordon pointed
4 out, alongside the conversation we are having
5 today, because if we want accurate price signals
6 to drive flexible and distributed resources at the
7 distribution edge, and we need to have a wholesale
8 market that actually is delivering some meaningful
9 prices, to reveal that value, and so this is just
10 to remind you to -- all of us -- you know, that we
11 actually have to remember what we talked about
12 yesterday too, and as we talk about the design and
13 the wholesale market.

14 A second point that I'd like to make in
15 response to Tim, is that scarcity pricing doesn't
16 really have to be that scary. If in fact we have
17 created a market that allows demand, response,
18 distributed resources, storage and those other
19 resource to play because they are getting those
20 price signals. Then in fact, as we saw in some of
21 the slides yesterday, a lot of that volatility is
22 pulled out of the market by the existence of a

1 much more diverse set of distributed resources as
2 well as supply side resources. I assume I'm
3 stating something that people can generally
4 accept.

5 The third, I guess I would agree that we
6 are not going to see public policy in this country
7 that injects high enough carbon prices to be the
8 drier of all of these, theoretically efficient
9 solutions. You know, I spend my time these days
10 working in Europe and the Europeans have a hard
11 time, even though they are intellectually
12 committed to it, they have a hard time seeing
13 carbon prices, you know, getting above the
14 equivalent of 13 or \$15 before they start getting
15 worried about it.

16 Now, I'm going to go to a fundamental
17 question I just want to put on the table. There's
18 kind of an assumption in all of these
19 conversations that the wholesale markets reveal
20 short-term marginal costs, and that's what the
21 market clears at. And therefore that's all the
22 generators get, unless we come up with some other

1 thing that we give them. And so I just want to
2 ask the question: Is that true?

3 If you had an energy-only market, with
4 the opportunity for buyers and sellers to engage
5 in various kinds of other instruments, are we in
6 fact stuck in a world where, when the wind is
7 blowing the price is zero or below, and we can't
8 do anything about it, and therefore everybody,
9 including wind generators, is losing money. Or,
10 do market participants actually find ways around
11 that?

12 You know, in the vertically-integrated
13 states, as the Chair pointed out, the ERP process
14 and rate-base takes care of it, but don't market
15 instruments take care of it in other more fluid
16 markets? And that's just a -- that's a totally --
17 how do you say it -- straightforward question,
18 because it seems to be an underlying proposition
19 in this whole conversation.

20 MR. GRAMLICH: So, I have thought on
21 that, and I hope I cannot speak for my
22 organization because we have absolutely no

1 position on these issues. But again, back in the
2 FERC days, considering market design, there was a
3 lot of sort of economic study of that question,
4 and you can -- I think that most economists
5 consensus, and Bob and correct me, was that you
6 could, in theory, do an energy-only market, you
7 have to have -- but you have to look very closely
8 at what is that ultimate very high price on that
9 peak, you know, summer day? And it's not the
10 operating cost of the last unit dispatched, but
11 it's something higher that reflects true scarcity,
12 and it probably goes up to the value of lost load
13 which, again, no regulators are comfortable
14 determining that, because how the heck do you set
15 that and it's not based on supply and demand bids,
16 but that's, in theory, the way you do an
17 energy-only market.

18 MR. ETHIER: That's good memory. And,
19 you know, the discussion hasn't change a lot in
20 the last decade or so. You know, that's sort of
21 the solution to an end, it gets more complicated
22 when you recognize that you actually can't turn

1 off the people in a very disaggregated way, you
2 can't turn off the people who have really low
3 values of energy and let the ones who have very
4 high values of energy stay on, because we just
5 don't have that capability yet. And until you
6 have that, it really limits what you can do,
7 unless you are willing to make these sort of
8 broad-brush policy decisions, which is essentially
9 what we do it one day in ten.

10 It's a decision about how much
11 reliability is worth, it's a reliability number,
12 but it's very easily translated into a dollar
13 number, and it's actually something that we have
14 actually done in our markets, and it's reflected
15 in our market goals. And until you get away from
16 the need to do that, and get down to this
17 disaggregated, everybody reflects their own
18 values. It limits what the market is going to
19 naturally bring forward, it's sort of on our mind,
20 because you can free ride, you can say, if we lose
21 100 megawatts, what are the odds, I'm going to be
22 part of the rotation of outages, pretty low.

1 CHAIRMAN COWART: It seems like you just
2 addressed part of what I was talking about which
3 was this business of, you know, in the markets
4 that we are talking about going to where demand
5 side aggregators have a lot of different customers
6 who are signed up to be turned off at different
7 price points, and different resources, or either on
8 or of depending on being blackouts it's a question
9 of who is willing to be interrupted for a price.
10 That's on one side of it. I agree that in the
11 very, very extreme event you do have an
12 involuntary interruption backup. But on the other
13 side, I'm really asking the question, if I'm the
14 generator in a market where let's just say, it's
15 energy-only and some days -- some hours it will be
16 negative, and some hours it might be pretty high.
17 And I don't like that volatility. I don't want to
18 have to live on a few uncertain hours.

19 And I'm a retail supplier on the other
20 end of the market, and I don't want to have to
21 have that much volatility on my product, so I want
22 to engage in a contract with the supplier, or a

1 set of supplier, and my question is, you know, and
2 in some places they call it contracts for
3 differences, and people can cover both generators
4 and retailers can cover volatility by entering
5 into a contract for a difference.

6 What is it about the markets in New
7 England, New York or MISO that lead us to believe
8 that we have to live in this highly volatile world
9 instead of contracts for differences world?

10 MR. ETHIER: I think the answer is, the
11 majority of generators for the majority of their
12 output do live in a contract for differences
13 world. You know, most of them aren't -- for most
14 of their resources aren't going hour to hour spot
15 prices. You know, we, as ISO do get some view
16 into that, and we are constantly -- we actually
17 settled a bunch of those contracts for folks, so
18 it's certainly possible and likely, I think the
19 disconnect is, you don't see those very long term,
20 at least in New England, largely because of the
21 retail competition structure.

22 No retail -- I don't know about no, but

1 few retailers have more than a one-year horizon so
2 they don't want to sign contracts for more than
3 that. And that is what prevents the 10 and
4 15-year deals which, if you talk to both sides
5 independently, they are interested, but the
6 retailer is saying, I don't know if I'm going to
7 have load in five years, much less 10, and the
8 generators, they are like, there is nobody out
9 there who wants to sign a contract with me for
10 that long, because I would love to hedge my output
11 too, or at least a portion of it.

12 MR. DOMINGUEZ: Yes. I would just add
13 that I don't even seen that from the utilities in
14 the States we do business where the utilities are
15 seriously interested in hedging a significant
16 amount of the load for 10 or 15-year periods, part
17 of it is, I think one of the premises of your
18 question is, that the contracts provide more
19 money, more value opportunity for the generators
20 than going to the spot market. And Bob said, all
21 the generators are hedging 1, 2, 3 years forward,
22 but nothing really long-term and the market is so

1 transparently clear, there's no reason in the
2 world someone would.

3 They are going to always reference the
4 market prices, and there's no reason someone would
5 go real long at this point, on something that is
6 substantially higher than the market, and there is
7 a liquid gas market that's a 5- or 10-year market,
8 some would say even a 20-year market, that
9 correlates pretty closely to power prices, and I
10 just don't think that -- I don't think the answer
11 to this question lies in, go out and get long-term
12 contracts. First, I don't think there's a
13 counterparty for it, and second, even if there
14 were I don't think it would produce a revenue
15 stream that is significantly more adequate than
16 the one we face in the short-term markets.

17 CHAIRMAN COWART: All right. Thank you.
18 Carl?

19 MR. ZICHELLA: Thanks. Interesting
20 conversation, I found myself taking tons of notes,
21 and little snarky asides of my own about some of
22 it to be honest with you. It just strikes me how

1 different things look in the Western United
2 States, and what we are talking about here today.
3 We are looking at trying to get more of an
4 organized market approach across more of the west,
5 to help facilitate some of the policy goals Audrey
6 enumerated, and it seems like there is a construct
7 here that we can create that isn't necessarily
8 what has been created so far.

9 I think, certainly, there will be some
10 kind of a hybrid approach because there are many
11 state policy mandates across the West; in fact
12 most of the western load is under a high RPS now.
13 Not just a short one, a high one. From Colorado
14 to California, to Oregon, you know, we have lots
15 of concern about climate policies, coastal states
16 are going to be heavily impacted by climate
17 change. So we are seeing many state policies that
18 are very aggressive across the board.

19 How we have a market context in all of
20 that, is going to be very interesting. However, I
21 think it's very possible because we are in such a
22 highly vulcanized situation right now with 38

1 different balancing authorities, a bus with 38
2 drivers, essentially, running a situation -- a
3 grid that's almost hostile to renewable energy
4 resource integration, because of this
5 vulcanization and artificial congestion on
6 transmission.

7 You know, we are going to preserve state
8 prerogatives, and we are going to have some sort
9 of a market I believe, it's not going to happen.
10 It's not going to be easily done, but how we put
11 that together is going to be a bit of an adventure
12 especially given what I've just heard today, we
13 are not going to have -- I don't believe we are
14 going to have a capacity market in the west. We
15 don't need one. We are going to have plenty of
16 resource adequacy without a capacity market, and
17 because of the huge footprint in the West, it's
18 clear from all the studies that have been done,
19 renewable energy integration can be done very
20 comfortably.

21 We do have good energy efficiency
22 programs across most of the region. We do have a

1 growing increment (inaudible) that we are going to
2 be relying upon. Those things make the lift
3 easier, but also the geographic diversity that
4 exists in the operational hours which we've
5 studied in the west, that lets us match renewables
6 with renewables, and wind being particularly
7 useful in this regard, helping to even deal with
8 solar ramps in many cases, give us an opportunity,
9 having a diverse renewable portfolio to do that.

10 Thank goodness we are not saddled with
11 tons of nuclear power, we are getting out from
12 under the nuclear fleet that we have. They
13 weren't intended to run forever. They reached the
14 end of their design lives in many cases, extending
15 their lives is going to require massive infusions
16 of capital to keep the plants running, especially
17 at once through cooling requirements coming into
18 play.

19 We are not going to be building new
20 nuclear power plants in the Western United States;
21 that would be idiotic for us really, frankly,
22 because they are so inflexible, it's just not in

1 the cards for us. Where we are headed is much
2 more variable generation dominating the
3 electricity market, and a little bit of flexible
4 thermal resources to fill in those gaps. That
5 seems to be where we are going. And having a
6 market to help dispatch those resources more
7 efficiently with what we are doing, is really one
8 of the big benefits, and it's an operational
9 benefit, as much as it is an economic benefit for
10 us in the west.

11 So, when I look at the landscape that we
12 are facing, and trying to learn as much as we can
13 from what the RTOs have done in the eastern
14 interconnection, take the good stuff that's been
15 done, try to avoid the errors, so we are in kind
16 of a good place, because we can learn from what
17 hasn't really worked that well. And we don't have
18 the same resource mix, 80 percent of the coal
19 plants in the United States are in the Eastern
20 interconnection.

21 And we are retiring in the western coal
22 plants at a similar rate, they are going out of

1 the stack very quickly. And the markets give us a
2 chance to run out those plants that are least
3 efficient, that shouldn't be kept long-term, that
4 should be kept on life support by capacity
5 payments, and we really don't need to do that. So
6 I think we may find a third way in the Western
7 United States. I think the distribution grid
8 challenges are actually pretty similar as we heard
9 yesterday, but the bulk system is different.

10 And I think we are going to have a
11 different approach to this. We are actually
12 wrestling with what it ought to be right now. And
13 it's a very real question for us, about what the
14 construct will look like, how it will be governed,
15 how we'll deal with differing state goals, because
16 just like in the Eastern Union Connection we have
17 coal states, and we have renewable states. It
18 just so happens that most of the load isn't in the
19 coal states.

20 So, the trend away from coal isn't going
21 to be interrupted any time soon. I think I'll
22 stop there. It's just been drinking from a

1 firehouse for the last hour-and-a- half here, and
2 I've been saving it up, so I apologize for being
3 all over the map here. But I'm not buying into
4 the nuclear thing and trying to keep them
5 operating much longer, it's not going to happen.

6 The older plants, they are going to have
7 the higher O&M costs, when you start replacing
8 reactive vessel heads all over the steam
9 generators, and every single pressurized water
10 reactor in the United States, and building new
11 cooling towers, you know, there's no way we are
12 keeping them afloat.

13 MR. DOMINGUEZ: Well, I think I have to
14 answer that. Look, whether you choose to save
15 nuclear plants or not, those are decisions that
16 need to be made regionally. I'd simply point out
17 a couple of things. A number of the places you
18 were referencing also have some of the highest
19 retail rates we see in the country. And Germany
20 as an example, that has gone in the direction you
21 are describing where they are shutting down the
22 old nuclear plants and relying on renewables has

1 driven its average retail rate over USD0.40.

2 Now there is a lot of hydro in the West
3 that dampen some of the price impacts, and there
4 are some states that enjoy those benefits, but it
5 hasn't exactly been a success story in Germany
6 shutting down a third of its nuclear reactors,
7 seeing the highest prices for electricity in
8 Europe, and not making any progress on carbon
9 reductions. And so there have been studies that
10 indicate that the implied price of carbon
11 reductions in Germany, net of the retirement of
12 nuclear units is 1,200 bucks.

13 But if you are making a judgment that
14 this more than just words, but you have numbers on
15 a sheet of paper that says, look, the cost to
16 keeping the nuclear plants open is less, and the
17 cost of replacement is cheaper, then replace them.
18 The analyses I've seen, I think some of the
19 analyses that have done in other states, indicate
20 that if you have a unit, that is a base load unit
21 that could provide guaranteed zero carbon
22 electricity for \$0.35 or \$0.04 a kilowatt hour,

1 then that's probably a pretty valuable resource,
2 if what you are trying to do is replace that with
3 some sort of combination of solar and storage that
4 may come in substantially higher than that.

5 But those are judgments, I'm not trying
6 to ram nuclear down anybody's throat. Everybody
7 needs to kind of make their own economic
8 decisions. I could tell you have a lot of energy
9 about it, and I'm not going to push back on the
10 energy. It's simply the case that I think, what
11 we need to do is look at the relative carbon value
12 of saving those units relative to alternatives.
13 And if the alternatives are cheaper, you know, God
14 bless.

15 MR. ZICHELLA: Sure. And if I could
16 just say quickly, I mean, I think that we are
17 going to start throwing the numbers around. Let's
18 say that in the decommissioning costs, let's add
19 it all in. Let's add in, you know, the cost of
20 retrofitting these plants to keep them running
21 safely, let's add in the cost of nuclear waste
22 remediation. Do you want to talk about subsidies

1 and, you know, the investment or production tax
2 credits, you know, compared to what nuclear has
3 gotten, you know, I have to tell you that over the
4 long haul here, these plants are not intended to
5 operate for 60 or 70 years. They just weren't
6 designed for that. And we have had massive
7 failures with major increments that cause the
8 shutdown of the plant because there
9 weren't even replacement parts for these things,
10 so I think this --

11 MR. DOMINGUEZ: Yes. I don't think we
12 are going to get to the bottom of this --

13 MR. ZICHELLA: This conversation is not
14 going to -- Right, we are not going to get to the
15 end of this one today.

16 MR. GRAMLICH: Rich, just to comment on
17 the other half Carl's comment, I couldn't agree
18 more about the importance of the large open
19 markets that the west is moving towards, and I
20 appreciate Carl and NRDC's leadership in moving
21 that way. It's not always, I guess, been the
22 environmental communities' major focus to expand

1 markets for everything, but it's absolutely
2 essential, particularly in the west, to get this
3 regional trading that allows renewables to
4 integrate on a reliable and low-cost way.

5 And I also agree that some of these
6 complexities with the New England and retail
7 access issues, are not -- I don't think those are
8 really concerns in the CAISO, you know,
9 restructuring going on. So, hopefully it will be
10 -- at least that's one problem you won't have in
11 those debates, but I'm sure there are many others.

12 CHAIRMAN COWART: And, by the way, the
13 Europeans and the large footprints of the American
14 markets, I mean, I see that every day, it's one of
15 the problems in Germany is that the footprints
16 they are trying to just balance within is too
17 small. We've got Merwin with his card up, and I
18 think I need to alert everybody to the following,
19 we will end on time at 12:30 and we have one more
20 business which Carl will take us through, which is
21 to come, but if we can get it done in time. Okay,
22 so first, Merwin.

1 MR. BROWN: Thank you. Admittedly this
2 is probably an experimental question, but since we
3 are really here to guide DOE and their main thing
4 is technology, I think, safe to say, open up your
5 minds and let your imaginations run wild, and
6 don't let cost, at the moment, get in your way.
7 Is there a technology that could make your lives
8 easier? That would make some of these issues go
9 away, if not all of them? So, you know, is it
10 energy storage, is it an ability to be able to
11 calculate or determine and measure the value of
12 something more accurately than you can now?

13 Is it a forecasting tool that is much
14 better than what we have now? I don't know, and
15 I'm beginning to lead you now, but is there
16 something that you would say, hey, if I could have
17 this technology tool that would make our lives a
18 lot easier?

19 MR. GRAMLICH: I certainly can think of
20 a lot of great studies that DOE has supported, on
21 sort of integration of renewables and the value of
22 transition across multiple regions which needs to

1 be done again. The technology, I mean certainly
2 the great operations practices are very important
3 and using the data from the synchrophasers, and
4 all the other kind of data that I don't follow
5 closely, but the technology that's been deployed,
6 I think helps grid operators. Gordon would know
7 better than I and others here but, you know, you
8 do have to operate the grid with, I think, more
9 data, more information, more forecasting in a high
10 or a low-carbon -- high-renewable low-carbon
11 environment.

12 CHAIR HEYDINGER: I think from our
13 perspective, are becoming increasingly focused on
14 being able to -- where we locate resources, and
15 historically states, in particular, have been very
16 responsive to the proposals brought to them rather
17 than creating and figuring out, electrically,
18 where would new generation and what size would be
19 most strategically and cost-effectively placed.
20 And so I think, as DOE moves forward, getting more
21 focused on the locational attributes could help
22 with both cost and resiliency. So that's the

1 direction I'd like to see.

2 MR. ETHIER: And as far as renewables
3 integration, certainly one of the big focuses we
4 have now is improved forecasting tools, and to the
5 extent that those improve that will help us do a
6 better job of dispatching the grid. You know, we
7 have tools now, they could work a lot better.

8 MR. VAN WELIE: A quick question. So,
9 Rich, I have just a -- I have a response for
10 Merwin. It occurs to me, and it triggered the
11 same thing I said yesterday which is, what I've
12 learned here, being on the EAC the last five
13 years, at least this part of the DOE we are
14 interfacing with is very technology oriented, it's
15 very engineering oriented, and I understand that.
16 But I think it -- I find it -- I find as if we are
17 always having one-half of the conversation in this
18 room, and I think the -- so it's great to put up
19 the PowerPoint slides that sort of show how things
20 are going to work harmoniously together, and we
21 are going to be able to garner all of these
22 efficiencies; but I always find myself wondering:

1 Well, okay, so how is it going to happen? How are
2 we going to make this happen?

3 Because it has to be paid for, and the
4 people who authorize these payments sit in two
5 different places, and there's all this dramatic
6 change going on. So I think, from my perspective,
7 you know, will the DOE just sort of step back and
8 paint in some of that picture without necessarily
9 prescribing solutions, but just sort of point out
10 that we are not going to just arrive at this
11 future. It's going to require some harmonization,
12 they are going to need alignment between state and
13 federal policies, et cetera. I think that could
14 be incredibly helpful, because I don't think
15 people understand that big picture.

16 MR. BROWN: I didn't mean for my
17 question to be critical of what we've been doing
18 for the last hour-and-a-half by the way. It's,
19 you are right, that shapes this, but also, I kind
20 of want to hear the answer to the other. What
21 would you rather -- What would you like to have?
22 And then we can figure out whether you can do it

1 or not.

2 MR. VAN WELIE: So, Rich, shall I wrap
3 this up?

4 CHAIRMAN COWART: Yes. Let's wrap this
5 one up.

6 MR. VAN WELIE: I'd like to thank the
7 panel, thank you so much for making it, for you to
8 come out here.

9 (Applause)

10 CHAIRMAN COWART: So we've had two
11 really, mind expanding panels, in these meetings,
12 I appreciate everybody's -- I appreciate the
13 panelists and the commentary and questions from
14 the EAC. It's been terrific. We have one final
15 report from Carl.

16 MR. ZICHELLA: Can I do it from here?
17 Okay. I think I'll probably just do it from here
18 so I can see the slides more easily. And this is
19 a report on the Clean Power Plan Working Group.
20 It's quite a -- as we are teeing that up -- quite
21 a large group of folks have been attending the
22 calls on this, and we've been struggling -- If you

1 can just move to the first slide, please? Oh,
2 here we go. Great.

3 We've been struggling a little bit about
4 how to approach this because of the uncertainty.
5 Obviously there's tons of it, and we have had the
6 implementation to ways that we've known from most
7 recently the Supreme Courts stay. The state
8 approaches are unclear how people are going to
9 approach it. We've talked a little bit earlier
10 about mass versus rate approaches, and whether
11 states will go it alone, or collaborate.

12 We, as a result, we didn't feel ready to
13 put a product together to recommend to DOE how to
14 proceed. But I thought it was worth trying to
15 understand what was being done and how well it was
16 being coordinated.

17 The next slide, please? So, as we
18 looked across what was trying to understand was
19 being doing, one of the things that did lead --
20 that lead out to us, was that modeling assistance
21 is likely to be very necessary, because there's
22 varying capabilities between states. And among

1 them, the differences of various approaches, that
2 would I just mentioned, and the need to have
3 consistent methodologies to identify compliance
4 and approaches, and to track the effectiveness of
5 the states' actions; and also the role of markets
6 with regard to compliance.

7 The next slide? So, we realize the DOE
8 is already working on a lot of these things, and
9 we had somewhat of an imperfect knowledge about
10 what the organization is doing and looking at.
11 So, one of the things we decided to do is to
12 request a series of webinars with DOE staff, to go
13 over a series of topics we identified, so that we
14 could better understand where there may be gaps.
15 And we came up with a list of topics that we want
16 to propose to DOE, that our working group have a
17 set of webinars about.

18 The next slide, please? In the interest
19 of time I'm not going to -- I'm going to read
20 through these, or skip through these fairly
21 quickly. We realize we may have to combine some
22 of these. The first is a gap in the analysis on

1 the models, who is doing what? Has DOE inventory
2 the efforts that are going on around the country?
3 Are there gaps in what's being done? How should
4 we be focusing our efforts on modeling, in
5 particular? Amongst the different models, how do
6 we make sure people can get access to them? Many
7 are -- or some of them anyway may be proprietary,
8 some of them may not be open source. There is a
9 real need to be able to come up with something
10 that many of the states are going to be challenged
11 to do some of this work can't get access to it.

12 Also the status of coordination between
13 the various agencies, EPA, DOE, FERC, what kind of
14 guidance is EPA providing about their needs for
15 modeling? Just getting a better understanding of
16 that level of coordination, recognizing that it's
17 happening, but not really understanding the depth
18 of it; how do we go about that? A really
19 important component that came up from our
20 colleague, Tom, from Kansas was, what's the
21 strategy in outreach in the states? How do we
22 make sure they know once there are resources

1 available, that they can get access to them? So,
2 having some understanding about the outreach
3 strategy would probably be good too, and if there
4 isn't one and there's a recommendation for us.

5 The next slide, please? Climate risk
6 analysis; is there an evaluation of the risk to
7 plants due to climate change, generating plants,
8 drought, sea-level rise, extreme heat events.
9 Those are topics that we are interested in seeing
10 if there's work being done on. What DOE or
11 related work is being done on transmission
12 analysis, and by whom? Are we able to get access
13 from remote areas to load centers to facilitate
14 compliance?

15 And there are a number of other
16 activities around the country that have been
17 related to DOE work with regard to resource
18 zoning, and transmission that would be worthy of
19 exploration in terms of trying to plug that
20 information into what we are doing. Also, what is
21 DOE doing on studying ways around markets, as part
22 of the compliance plan in modeling? I think this

1 is a great interest around the country and
2 especially as states look at working together on
3 compliance plans; this is going to be an important
4 topic.

5 The next slide, please? Okay. The
6 distribution side that we spent so much time
7 talking about in this meeting, we would like to
8 know more about the work on factoring in the
9 distribution side of energy efficiency and demand
10 response. Is this a part of lab call, who is on
11 point for it, I think we did hear a bit about
12 that, but not necessarily in relation to the clean
13 power plan.

14 Rate design is another topic. How that
15 might be factored into clean power plan work. And
16 is anyone modeling the best ways for states to get
17 to longer-term goals, say, 2050 or beyond, we are
18 at risk of creating a compliance strategy that
19 really fosters a heavy investment in gas plants.
20 Is that the best strategy for us going forward
21 when we are looking at having to meet much more
22 aggressive longer-term goals, by the middle of the

1 century?

2 Now that's a question I think that's
3 particularly relevant because we can get ourselves
4 on a trajectory that makes the second tranche of
5 our work much more difficult.

6 The next slide? So, we took the step
7 trying to rank these topics so we can have a
8 conversation with DOE about how to order the
9 webinars, and what sequence we try to take them
10 in. And we try to do this by email, and I take
11 responsibility for that, it was a bad decision,
12 because we weren't able to come up with the
13 conclusive consensus about how to rank those. We
14 need to discuss that a little bit further, to see
15 about consolidating some of these topics because I
16 do think there is some overlap, and prioritizing
17 the ones that I think we are going to want to try
18 to do with DOE first.

19 I do think there is strong agreement
20 about the importance of getting our arms around
21 the modeling questions, so that's likely to be one
22 of the earliest webinars we request.

1 The next slide? So we are going to be
2 -- Our next steps will be to review the topics
3 again, confer with DOE on the availability and
4 schedule for webinars and calls. After that we'll
5 look at reviewing and summarizing our lessons from
6 the calls, and from this process come up with
7 recommendations for DOE. I put September meeting
8 with a question mark, because it's very unclear to
9 me, there's not a big rush right now to do this,
10 and there is an opportunity for us to suss this
11 out, so it may or may not be something we would be
12 willing to tee up by September, but that is
13 something I think we can shoot for, I think.

14 We should be able to do some of this
15 work, or most of this work prior to the September
16 meeting. We may not be able to come up with our
17 recommendations by then, but we should certainly
18 have been -- completed our fact-finding, if you
19 will. I believe that's it. Next slide? Yes.
20 That's it.

21 CHAIRMAN COWART: Any questions for
22 Carl? Thanks for an efficient report. And

1 clearly there's a lot of work going on there.

2 Anything further?

3 MS. HOFFMAN: Just looking at this, off
4 the top of my head and we'll go back to our group,
5 but I think there are some things that we can
6 easily provide information to the Committee on.
7 You know, the existing market is going on in
8 climate risk analysis. I think the modeling
9 question we should, you know, first look at what
10 the ISOs and RTOs are looking at with respect to
11 the modeling work they are doing, because they are
12 closest to some of the decisions that are being
13 made, so that we don't have to get in a whole
14 belly of generic modeling that's occurring, more
15 than try to look at some of the modeling that's
16 actually occurring at the ISOs.

17 With respect to some of the comments on
18 energy efficiency, I think if we want to -- if the
19 Committee wants to look at the value of energy
20 efficiency, moving forward the power plan or the,
21 you know, the climate efforts, we should be
22 looking at energy efficiency, and yes, it does

1 contribute but it's not the sole reason that the
2 department is working on energy efficiency. And
3 so we've got to recognize that there's a broader
4 set of, you know, needs and objective that the
5 department is going after with the things that we
6 are working on. So, I just want to put that
7 comment out there. But I think there are things
8 that we can move forward out of your list, and
9 then we'll figure it out from there.

10 MR. ZICHELLA: Thanks. You know, these
11 things came up in our conversations, mainly in
12 this context, between power plan, but your point
13 on energy efficiency is well taken.

14 CHAIRMAN COWART: All right. Any
15 further discussion? I'd like to close simply by
16 thanking, once again, Gordon and Paul for putting
17 together the panels for this session. A lively
18 discussion, and thought-provoking suggestions came
19 forward. And with that I think this meeting has
20 come to a close.

21 MS. HOFFMAN: I'd just like to thank
22 everybody for hanging out there -- hanging in here

1 'til the end.

2 CHAIRMAN COWART: We are adjourned.

3 Thanks very much.

4 (Whereupon at 12:27 p.m.

5 PROCEEDINGS were adjourned.)

6 * * * * *

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

CERTIFICATE OF NOTARY PUBLIC

COMMONWEALTH OF VIRGINIA

I, Carleton J. Anderson, III, notary public in and for the Commonwealth of Virginia, do hereby certify that the forgoing PROCEEDING was duly recorded and thereafter reduced to print under my direction; that the witnesses were sworn to tell the truth under penalty of perjury; that said transcript is a true record of the testimony given by witnesses; that I am neither counsel for, related to, nor employed by any of the parties to the action in which this proceeding was called; and, furthermore, that I am not a relative or employee of any attorney or counsel employed by the parties hereto, nor financially or otherwise interested in the outcome of this action.

(Signature and Seal on File)

Notary Public, in and for the Commonwealth of Virginia

My Commission Expires: November 30, 2016

Notary Public Number 351998