

UNITED STATES DEPARTMENT OF ENERGY

ELECTRICITY ADVISORY COMMITTEE MEETING

Arlington, Virginia

Thursday, June 2, 2016

1 PARTICIPANTS:

2 JOHN ADAMS
Electric Reliability Council of Texas

3 LYNN ALEXANDER
4 U.S. Department of Energy

5 AKE ALMGREN
ORKAS Inc.

6 ELLEN ANDERSON
7 University of Minnesota

8 WILLIAM BALL
Southern Company

9 ANJAN BOSE
10 Washington State University

11 CAITLIN CALLAGHAN
U.S. Department of Energy

12 PAULA CARMODY
13 Maryland Office of People's Counsel

14 PAUL CENTOLELLA
Paul Centolella & Associates

15 RICHARD COWART
16 EAC Chair

17 PHYLLIS CURRIE
Midcontinent Independent System Operator, Board

18 DOUG DAVIE
19 Wellhead Electric

20 RACHEL FINAN
ICF International

21 VICTORIA GANDERSON
22 U.S. Department of Commerce

1 PARTICIPANTS (CONT'D):

2 CLARK GELLINGS
Independent

3

4 PATRICK HUGHES
National Electric Manufacturers Association

5 HONORABLE PATRICIA HOFFMAN
U.S. Department of Energy

6

7 CHRISTIAN JOHNSON
U.S. Department of Energy

8 BENJAMIN KALLEN
Lewis-Burke Associates

9

10 PRAVEEN KATHPAL
AES Energy Storage

11 SRINIVAS KATIPALUMA
Pacific Northwest National Lab

12

13 CURT KIRKEBY
Avista Utilities

14 JANICE LIN
Strategen Consulting

15

16 MAUREEN MALLOY
ICF International

17 ELI MASSEY
U.S. Department of Energy

18

19 MICHAEL MCELHANY
U.S. Department of Energy

20 DAVID MEYER
U.S. Department of Energy

21

22 M. GRANGER MORGAN
Carnegie Mellon University

1 PARTICIPANTS (CONT'D):

2 JEFF MORRIS
Washington House of Representatives

3
4 TIM MOUNT
Cornell University

5 CHELSEA PELLECCCHIA
ICF International

6
7 IRWIN "SONNY" POPOWSKY
Consumer Advocate of Pennsylvania, Ret.

8
9 WANDA REDER
S&C Electric Company

10
11 CHELSEA RITCHIE
SMRP

12
13 MATT ROSENBAUM
U.S. Department of Energy

14
15 HEATHER SANDERS
Southern California Edison

16
17 CHRIS SHELTON
AES Energy Storage

18
19 RAMTEEN SIOSHANSI
Ohio State University

20
21 JULIE SMITH
U.S. Department of Energy

22
23 ROY THILLY
North American Electric Reliability Corporation

24
25 SUSAN TIERNEY
Analysis Group

26
27 DAVID TILL
North American Electric Reliability Corporation

1 PARTICIPANTS (CONT'D):

2 MICHAEL TOOMEY
NextEra Energy

3
4 REBECCA WAGNER
Wagner Strategies

5 CARL ZICHELLA
Natural Resources Defense Council

6

7

8 * * * * *

9

10

11

12

13

14

15

16

17

18

19

20

21

22

1 P R O C E E D I N G S

2 (8:08 a.m.)

3 CHAIRMAN COWART: Good morning folks; if
4 you would, please, take your seats. We are ready
5 to begin. Once again for anyone attending from
6 outside the Committee, please be aware that a
7 transcript is being prepared of this session. If
8 there are any members of the public who would like
9 to address the Committee, please make sure to
10 check in with the signup sheet and let us know if
11 you would like to address the Committee, there
12 will be time available at the end of this
13 morning's meeting.

14 We are going begin this morning with
15 reports from the Committee -- Subcommittees and
16 while those reports are happening I'd like to ask
17 the Committee members who were at the FERC
18 Technical Conference yesterday to think about what
19 went on and how you would like to report, just
20 very briefly on results of that -- of that
21 conference. Paul?

22 MR. CENTOLELLA: Thank you, Rich. So,

1 this is the report on the Smart Grid Subcommittee.
2 And I want to begin with thank you to our
3 departing Subcommittee members who have great
4 contributions, our departing Chair, Wanda Reder,
5 Sonny Popowsky, Clark Gellings, you will all be
6 missed on this Subcommittee, and we are going to
7 have to fill your shoes with new members because
8 there's a lot of good ongoing work going on. So,
9 thank you very much for your contributions over
10 the last few years, and your leadership, Wanda.

11 So, with that, let me talk a little bit
12 about what the Subcommittee is doing and what we
13 plan to do -- And how can I make this go? Ah,
14 there we go. So as you will recall, we had a
15 panel at the March session on distributed energy
16 resource valuation and integration, that continues
17 to be our principal topic in the Sub-Committee,
18 that of course was followed up with the panel
19 yesterday on transactive energy, our next steps in
20 that process, you know, are --

21 Well, first of all the -- I'll talk a
22 minute about some of the topics that we've

1 identified in this area, as potential topics for a
2 work product, and we will have a call coming up
3 later this month where we'll actually have some
4 distribution planners from a couple of
5 distribution utilities on the call with the
6 Subcommittee talking about the real issues that
7 they are encountering as they seek to integrate
8 distributed energy resources into their networks.

9 We also, yesterday, had a conversation
10 in the Grid Modernization Working Group about the
11 fact that that working group is going to do some
12 webinars with the lads who are involved in that
13 work, on the different foundational projects in
14 the Grid Modernization Lab call, two of which,
15 valuation and architecture, are particularly
16 important for this question of DER integration,
17 and so we will jointly schedule those calls with
18 Anjan's group, and the Smart Grid Subcommittee, so
19 that we can both hear what's going on in those two
20 work areas.

21 A small group of us had a conversation
22 over breakfast this morning, you know, we are also

1 looking to, at some point, hear over the next few
2 months potentially follow up on some of what we
3 heard from Srinivas yesterday, and look in more
4 detail at what is the potential for integrating
5 responsive demand in buildings as a distributed
6 energy resource into this mix.

7 So all of those things are now on our
8 agenda, I think we are now looking at, you know,
9 if we are -- if we stay on course, you know, and
10 decide to put out a work project we are probably
11 looking at the end of the year for that work
12 product rather than, or prior to the September
13 meeting, just because there's a lot to do to get
14 through this topic and all of the complexities
15 that are involved in it.

16 So, some of the issues that came up in
17 our last meeting that we will continue to look at
18 as we decide, you know, how to go forward and what
19 we can and should do in terms of a work product,
20 you know, are listed on the slide here. So, can
21 DOE support the development of a common
22 understanding amongst stakeholders, regulators,

1 policymakers, of terminology and different
2 valuation frameworks? You know, what do we mean
3 when we say, distributed energy resource? What
4 are the products that distributed energy resources
5 can provide?

6 You know, we heard yesterday, you know,
7 that there are three basic electric products, you
8 can read other reports where there are a dozen
9 different things that people say DER have been
10 doing. Some places you see 20 or more different,
11 you know, alleged things that maybe they are just
12 combinations of the three basic products, but
13 there are things that, you know, DER supposedly
14 can do and we need a better understanding of what
15 those are, when there are tradeoffs between them,
16 and how they fit into evaluation framework.

17 There is also, I think, basic -- I don't
18 know whether it's a split or a continuum, but a
19 couple of basic models for evaluation, one of
20 which is planning an administratively based, and a
21 second of which is market and DLMP based, and you
22 know, we think there's probably some role in the

1 Department and getting people to better understand
2 those two models and what are the differences.

3 Other topics that we think we might be
4 looking at to address, is tools for and ways to
5 evaluate the variability and time location and
6 product-specific marginal cost and value of DER,
7 knowing that those can be quite different.

8 Additionally, there's probably some R&D
9 in tools development around a set of additional
10 factors that can also impact DER evaluation,
11 including the role of voltage constraints and
12 distribution marginal losses and distribution
13 equipment life, or transformers and other things
14 in distribution. What's the impact of economies
15 of scale on the one hand, and real options value
16 on the other? How do you deal with the fact that
17 once you put a distributed energy resource into a
18 place on the distribution grid, it doesn't mean
19 that you can put 10 more and then get the same
20 value, you know, what is that impact on value look
21 like? How is reliability and resilience,
22 environmental impact, risk allocation, how does

1 all that play in to the evaluation framework?

2 There is also a set of work around grid
3 architecture and control, some of this will mean,
4 you know, continuing to extend some of the
5 existing good work that's gone on at PNNL, but
6 also thinking about, are there other architectural
7 models, of course systems that, you know, that we
8 may need in situations where our conventional
9 approach is to security constrained dispatch are
10 simply impractical, the Internet, given the
11 dimensionality of having, you know, potentially
12 thousands of distributed energy resources in a
13 high DER environment, and what are the other kinds
14 of tools that come into play there.

15 A couple of other issues that we have
16 identified is how does DER integrate into
17 distribution planning, forecasting into
18 operations? Are there specific things the
19 Department might be able to do to provide tools or
20 resources in that area? And we've had some
21 discussion about trying to understand, you know,
22 what are the structural and regulatory barriers

1 and opportunities to DER? How can you address
2 specific stakeholder concerns that DER might
3 impact, though all of which could impact the
4 ability of DER to move into the market? So these
5 are all things that are on our topic agenda.

6 We'll look and see what we can address
7 and what we are -- you know, where we think the
8 Department is on these, and are there things that
9 we can suggest that might supplement where the
10 Department has been going. So, our plan for the
11 remainder of 2016, you know, hopefully we'll get
12 some replacement for our losses on the Committee
13 as we get new Committee members in July.

14 You know, we will continue the
15 examination of DER valuation and integration
16 issues, including getting a better understanding
17 of what's going on in DOE already, and considering
18 whether and what work product and recommendations
19 we might develop. We are expecting some response
20 from DOE to some of the Committee's prior
21 recommendations on Smart Grid, and we'll look at
22 that, and I hope before the end of the year we'll

1 maybe get to kicking off consideration of the
2 Internet of Things, and power systems.

3 You know, based on the Leadership
4 meeting yesterday we are probably not going to do
5 a panel in the fall EAC on this topic, which is
6 good, because I think we are probably not going to
7 be ready for it by the fall EAC meeting, but we'll
8 continue to look at that for future EAC meetings.
9 So that's what on our agenda going forward. I'll
10 stop and take questions and we can open it up for
11 discussion if there's any.

12 CHAIRMAN COWART: Comments and questions
13 from the Committee members or others on the EAC?
14 What do you see, Paul, as potential panel topics
15 for the later meetings?

16 MR. CENTOLELLA: Well, I think this is
17 certainly the one -- the Internet of Things,
18 that's certainly an area we want to look at, and I
19 think might be a topic for next year. You know, I
20 think it's also possible, we may do something in
21 terms of something internal to the Subcommittee
22 this year, but I'm particularly interested in sort

1 of following up on this question of how the
2 buildings play as a distributed energy resource
3 and provide virtual storage, what's their
4 potential, what barriers do we need to address in
5 order to bring that fully into play in the market.
6 Those are the two that I have in mind at this
7 point, and there may well be others.

8 CHAIRMAN COWART: All right. Thank you
9 very much. Next we'll hear from the Power
10 Delivery Subcommittee. David?

11 MR. TILL: Good morning. I want to echo
12 Paul's thanks to departing Committee, Subcommittee
13 members, Sonny, Gordon van Welie, and others have
14 been very important to the Power Delivery
15 Subcommittee, and already we are getting strong
16 input from Phyllis and others who are joining.
17 And I deeply appreciate the opportunity, not just
18 to have their impact with the Power Delivery
19 Subcommittee, but I personally appreciate the
20 impact, because it is an excellent honor for me to
21 rub shoulders with every one of you.

22 Looking forward, two things I should

1 mention. It should be the last time that I
2 address you in this meeting. I may have promised
3 that before, I hope not. I hate to keep getting
4 our hopes up, but we are getting in place a new
5 leadership structure for the Power Delivery
6 Subcommittee, and I'll look forward to that. The
7 first item that the new leadership will take on
8 will be high penetration of EV into the market.

9 Mr. Graham's presentation yesterday was
10 a precursor to that with a look, an umbrella look
11 at what's going on with EV, and then for the
12 September meeting, we expect to supply a panel to
13 go into more detail and specific areas of that.
14 Then let me shift to the paper of Value of a VAR,
15 which is not quite ready yet, but which continues
16 to draw attention and to -- and advance, continue
17 to point to the need for it. We'll hear, with the
18 time that I will leave for the people who were at
19 the FERC Technical Conference yesterday to talk.

20 One of the -- Well the first panel at
21 that meeting was on the state of reliability, and
22 in the state of reliability there was a hint of --

1 I view it, not a large flag, but a hint that as we
2 go forward, and as DERs proliferate as
3 conventional generation to shut down, whether for
4 economic reasons, having to do with gas prices, or
5 other things, for regulations or for whatever
6 reason. These STATCOMs, SVCs, synchronous
7 condensers, et cetera, et cetera, et cetera, are
8 going to be relied on as reactive generators for
9 the system, and they need to work, and I hope you
10 never get the impression that I'm against these
11 things.

12 I am for them. I am for their working
13 extremely reliably, and so there is a mention in
14 the state of reliability to one particular thing
15 that I'll go into a little bit more detail with
16 you, and I'll over-dramatize it just because we
17 underplayed in the report, a bit. Several years
18 ago, with the first STATCOM that was ever put on
19 the system, I made a big production of taking the
20 vendor out to the site, sweeping my right arm
21 across the device.

22 I hope I haven't told you this -- And

1 saying, when I have my voltage collapse, and 60
2 Minutes comes in to ask me why I had my voltage
3 collapse, in my now former career holding this
4 device, and of course I was overdramatizing then
5 too, because, do you believe for a moment that
6 we'd put the first STATCOM on the grid in a
7 position that it would have that effect. But
8 these people needed to understand this. I said, I
9 want to be able to sweep that arm across the
10 burning, smoking remains of what used to be my
11 STATCOM.

12 And as I work up a tear, saying, she
13 gave our life -- she gave her life for our grid,
14 but we didn't respect her big enough. But if I
15 have to sweep my arm across the device and say,
16 isn't she pristine, isn't she beautiful, we are so
17 glad she cut and ran, instead of wasting herself
18 on this grid we purchased her for. You are going
19 to be in danger because my left hand is going to
20 be on your collar where I've dragged you behind
21 me, and the next thing my right hand does, is
22 point and say, and it's their fault.

1 I tried to get them to understand, I
2 don't want that so protected that it can't do its
3 job, and this came from -- well actually it was
4 followed by our conversation in a forum similar to
5 this with the tents and the mics, and we were
6 arguing about how reliable these devices were.
7 And the Chair of the Committee had said, David, if
8 there are any questions on this particular slide,
9 you'll need to take them. And I said, fine, and
10 so he threw the slide up there, he spoke to it, he
11 quickly went to the next one. Somebody hollered,
12 you are supposed to raise your tent, people.

13 Somebody hollered, wait, and raised his
14 tent, we should not be discussing this, these are
15 -- and the reason for that was, we were also
16 including SVCs in the discussion of that slide.
17 These were not new devices, we should not be
18 discussing them, and the Chair of my Committee
19 said, dot-dot- dot-beep. And I said, these were
20 not new devices but they've never been adequately
21 vetted for the application that they are in.
22 They've been applied to prevent voltage collapse,

1 and never been properly vetted or tested or
2 verified for that.

3 And so it started a discussion with my
4 being the hub of the wheel of the discussion
5 objection, overruled, objection, overruled. And
6 so, as I'm saying telling the tale and nobody else
7 in that room is here today, that I can see, I
8 definitely parried every objection, and either
9 gave a minor wound or a heart thrust depending on
10 what I thought of the person. So that's my side
11 of it.

12 One fellow keyed his mic twice, to
13 object, and he objected and I responded to the
14 objection. He keyed it a third time, and got
15 recognized, and keyed it a third time, when he was
16 recognized, and then a strange look came over his
17 face, and he put his tent down, and said, I'm
18 sorry I yield the floor, and killed his mic. And
19 I thought, oh, my, what have I don't. I've
20 offended this guy, I've chased him from the
21 conversation and that's certainly never my intent.

22 And so I chased him during the first

1 break, and I said, did I offend you? And he said,
2 not at all, David. I said, then why did you leave
3 the conversation the way you did. He said,
4 because I realized you were right. I thought,
5 well, you know, before you kill that mic, and I'm
6 leaving the discussion because David is right,
7 would have been kind of nice to hear, because
8 nobody else was believing it but me, and now you.

9 He said, and I realized I should have
10 been ahead of you, because when my company first
11 applied synchronous condensers, think about what a
12 -- how old does that statement go back to. When
13 my company first applied synchronous condensers,
14 we did a very similar thing to what you are
15 talking about with electronic devices. We applied
16 a standard voltage protection to them, and it was
17 the third time that they tripped when we needed
18 them to boost the voltage, before we realized we
19 don't need to protect those that way, they are the
20 protection.

21 And so one of the things that's hinted
22 at, in a state of reliability report, is we

1 started the discussion, we are starting, really,
2 we are so nascent in this; a discussion with the
3 industry about the protection of these, which has
4 been left to the vendors, and they know how to
5 protect their devices, but they don't necessarily
6 know what grid owners, bulk power system owners,
7 need by way of those devices protecting them.

8 So, we are starting an intentional and
9 intended to be comprehensive discussion with
10 people with the expertise to lead it, leading, but
11 everyone involved is a wish to be, to make sure
12 that these devices will be compatible, as they
13 penetrate the bulk electric system as conventional
14 general leaves in these, I'm going to call them
15 dedicated reacted generators, take the place of
16 the reactive piece of the conventional units that
17 are leading.

18 So, I want you to be aware of that as
19 you will soon be able to read this paper, and also
20 for new people on the EAC, let me express that the
21 approach of this paper is to allow four very
22 distinct views, and one of the reasons is that

1 when something is wordsmithed, when something is
2 honed to its most concise, every word packed with
3 this meaning, and that meaning, and we understand
4 every bit of that meaning because you and I were
5 in the discussion where we owned that. Other
6 people read that and they miss a lot.

7 So, we are trying to make sure that all
8 of the viewpoints get their viewpoint fully
9 expressed. And so with that, I will close my
10 remarks, and ask if you have any questions or
11 comments. Thank you.

12 CHAIRMAN COWART: Thanks for the tale,
13 David; and also the promise of the four voices
14 coming towards. Any questions, comments from
15 members of Committee?

16 MR. ZICHELLA: Mr. Chairman?

17 CHAIRMAN COWART: Oh, yes, sorry. Carl?

18 MR. ZICHELLA: I just want to take a
19 moment to thank David for the work that he's done
20 chairing the Committee, and it's, as you can tell
21 from his little presentation, it's always been a
22 delight working with him. His amusing view of the

1 world of our rather technical world that we toil
2 in has been refreshing and I've learned a lot from
3 you, David, and I've working enjoyed working with
4 you, thank you.

5 CHAIRMAN COWART: This might be a good
6 time to hear from folks who were at the FERC
7 conference yesterday; if you don't mind, just on
8 an impromptu basis. Who was -- Mark and Billy?

9 MS. HOFFMAN: And Roy.

10 CHAIRMAN COWART: Oh. And Roy. All
11 right. So, please chime in.

12 MR. LAUBY: You probably know, of
13 course, there were three panels, I'm sure of that
14 -- if Ms. Hoffman talked about that. One, was on
15 the state of reliability. The second was part 1
16 and part 2; part 1 being a conversation with the
17 EU representative, and one from CRE from Mexico,
18 which are regulators. And they talked about the
19 transitions going on in those two areas, and then
20 part 2 was emerging issues, and then part 3 was
21 security, focused around cyber and physical
22 security mostly.

1 The first panel around the state of
2 reliability, a lot of conversation around what are
3 things that -- you know, what are some of the
4 risks that we are seeing that keep people
5 concerned. A lot of those focused on the security
6 piece more than anything, else. Though, there was
7 a number of other areas such as, you know,
8 frequency response, and with the changing grid and
9 they were -- even though they were really kind of
10 looking at the here and now, there is a lot of
11 places in North America where here and now is a
12 place where there's a lot of distributed energy
13 resources, and how that integration is coming
14 along, and what are some of the needs for
15 reliability.

16 Then the second part on emerging issues
17 with the gentleman from EU and CRE from Mexico,
18 again, more around the situation there, and the
19 changes that are going -- most of you are aware,
20 with Mexico, what kind of changes they are going
21 through to develop markets, and also going toward
22 renewable energy, shutting down all their plants,

1 you know, building in perhaps some distributed
2 energy resources, et cetera, and potential for
3 interconnections there.

4 And then of course the EU is kind of
5 amusing, because it's 28 countries and no same
6 message, so he was really speaking to his own
7 views recognizing what he was saying, and some
8 places in Europe they wouldn't necessarily agree
9 with him. So, it's still very interesting, where
10 they are and where they are going, and he started
11 out the presentation by saying, you probably asked
12 me here to learn about what's going on in Europe,
13 and what you can learn from us about integration
14 renewables. You can say that at this time you can
15 learn absolutely nothing from us; which of course
16 is not true, but he was very modest, and it was
17 very nice of him.

18 And then the second panel was wildly
19 successful because I was on it, and it was around
20 emerging issues, and I think most -- really a lot
21 of the discussion was around what I call
22 jurisdictions; the jurisdictions between the gas

1 and electric industry, and the jurisdiction
2 between, let's say, the bulk electric system, and
3 the distribution system, more federal and state
4 jurisdictional, and really how we are going to
5 work those seams.

6 What are the needs so that we can remain
7 reliable? And a lot of the discussion focused on
8 distributed energy resources, and what information
9 will the bulk electric system need when you see
10 this transition of, let's say, the bulk of your
11 generation coming from the bulk electric system to
12 the distribution system, somewhat one-way to,
13 where you see the balance start going to 90-10,
14 80-20, and what are the expectations to contribute
15 and support reliability from the distribution
16 system.

17 Or what information will the bulk
18 electric system operators need from the
19 distribution system, to understand
20 imports/exports, the nature of the dispatch. You
21 know, the dynamics of the central reliability
22 service, availability, frequency response, et

1 cetera, digital, and that. So it seemed like a
2 lot of discussion there, some folks said, well,
3 there's no need for the grid anymore, and it's all
4 been micro grids, but I beg to differ on that, I
5 think that there's going to be a need for both,
6 just like there is for, you know,
7 telecommunications and computing systems and all
8 that, that there's room for it, and a need for
9 both, to maintain reliability.

10 And then the third one, the third area
11 was really focused on cyber security, a little bit
12 of a nod to the Ukraine and what happened there
13 and, you know, where we are right now with
14 information sharing, and where we need to go,
15 because NERC has some standards on cyber security
16 there is no information sharing over here, more
17 operational and situation awareness, but there's a
18 place right in the middle there were we can build
19 the system, and we can operate the system to be
20 more resilient. And what is it going to take to
21 do that? So I think there's some discussion
22 around that.

1 I think that's pretty much my
2 recollections. I don't know, Roy, did you have
3 anything you wanted to add, you were there the
4 whole day too?

5 MR. THILLY: No. I think you hit it
6 all. Pat was also on the first panel, and she may
7 have --

8 MR. LAUBY: Which was wildly successful
9 as well.

10 MR. THILLY: Absolutely.

11 MS. HOFFMAN: What was going to be my
12 comment; was the first panel was, I think,
13 awesome. I guess the only comment I'd add on the
14 first panel is there was a lot of discussion
15 around modeling analysis, analytics, and what
16 could be done to improve the models, to improve
17 the capabilities. That was one thing that I
18 pulled away, as an important topic. I think
19 you've hit all the other kind of transition issues
20 that was discussed in the first panel. There was
21 a compliment on the first -- the state of
22 reliability, the 2016 report that, you know, was a

1 good foundation to start with respect to metrics.
2 And then there was the last conversation, which
3 I'm not sure, actually, it was fully developed,
4 but a little bit on the metrics, and what are we,
5 what are we really thinking about moving forward
6 on metrics.

7 But I'm not sure we actually hit
8 probably the breadth of that conversation, only to
9 recognize that we have to think about beyond and
10 minus one, to other forms of metrics given the
11 state of potential events that could occur on the
12 system will be different.

13 MR. THILLY: You know, one thing, it
14 seemed to me, I was on the first panel, sort of
15 that there was a very significant agreement across
16 the panels on what the issues were. There were
17 some minor differences and debate, but an awful
18 lot of consensus as to what the challenges are and
19 what needs to be done. And it was very a very
20 comp conference, and also the relationship between
21 NERC and FERC has improved dramatically.

22 MR. BALL: The only thing I would add

1 is, and I didn't get to see Mark's panel, which
2 I'm sorry, I'm sure it was very good. It was
3 interesting to me, how in the discussions, at
4 least in the morning when I was there, and Pat
5 kind of made this point, how much overlap, in some
6 of the conversation, there is with the very topics
7 that have even been discussed at this meeting and
8 previous meetings, which is encouraging, to me,
9 because that a lot of the topics, again, around
10 modeling, you know, new computing techniques, all
11 of these type things, there's getting to be a good
12 alignment in different venues in essence about
13 where we need to be going.

14 So that was actually very encouraging to
15 me. It was also interesting to me how often the
16 word distribution was said in a FERC meeting,
17 which I'm sure for a FERC Commissioner is a
18 challenge, right. So, that was the other
19 observation I had in the morning.

20 MS. TIERNEY: It sounds like it was an
21 awesome meeting, every single one of the panels.
22 That's all I can say. What was said about the

1 interface between natural gas delivery capability
2 and responsiveness to the need for really
3 real-time, dispatching of power plants and the
4 slowness of delivery over gas pipelines?

5 MR. LAUBY: It only came up, my
6 recollection, it only came up during the panel I
7 was on, and the question really was around
8 standards, and is there a need for a standard
9 where you perhaps, a unit would have to commit to
10 saying, I'm going to be available, and therefore
11 I'm going to have to make sure that I can
12 available through contracts. Because, as you
13 know, NERC doesn't have jurisdiction over the gas
14 industry, and I pointed out that one of our
15 standards already calls for an extreme event where
16 you study pipeline outages.

17 And so that kind of took the wind out of
18 the sails on that to a certain extent, but what I
19 also did comment on, is that there's a great deal
20 of work still ongoing. NERC just issued a report
21 where we identified protocols for planners and
22 operators in how they should address this risk,

1 because NERC is basically saying, industry address
2 the risk.

3 You need to be available, you need to be
4 able to balance - your BA has got to balance their
5 systems. RC has got to ensure there's
6 reliability, they have to work with the generating
7 plants to, you know, put together whatever kind of
8 protocols, how much dual fuel is needed, or firm
9 contracts are needed, but you've got to make sure
10 you remain reliable and you have action plans in
11 place for the TPL standards.

12 So, that's pretty much where it landed.
13 I don't know. Roy, did I miss something there?

14 MR. THILLY: Well, the California
15 storage issue --

16 MR. LAUBY: Yes.

17 MR. THILLY: -- was what was on
18 everybody's mind; and as a quote "new risk"
19 obviously not a new risk, but one that hasn't had
20 focus.

21 CHAIRMAN COWART: Clark?

22 MR. GELLINGS: Thank you. I'm curious

1 to what extent these nasty words, one being
2 research and the other being technology, were
3 brought forward because, you know, we keep talking
4 about how we are going to solve this problem,
5 whatever the problem is, that perhaps we haven't
6 yet, well, described to ourselves, but it does
7 appear to that there are some technology needs, to
8 what extent were they addressed in the
9 deliberations.

10 I don't know if it was so-called
11 addressed, but certainly it was discussed, you
12 know, because as you start looking at the
13 distribution system, and distributed energy
14 resources, and technology integration for smart
15 grids, and for micro grids, you know, you have to
16 touch on it, but I don't know that -- I mean, I
17 think there were some -- the conference itself
18 focuses a lot on what's the regulatory needs.

19 One thing that was really nice about
20 this particular set of panels was that each one
21 had at least one academic, I'll say, somebody from
22 the university, Joe Eto was there on Panel 1 as

1 well, along with Patricia. So, I think that, you
2 know, did it get a firm vetting? Probably not,
3 but I think there's a recognition that additional
4 investments are going to be needed here to assure
5 reliability.

6 You know, one of our jobs at NERC, and
7 David Till talked about the state reliability
8 report he helped us work on this year, has also
9 put our binoculars on, and identify risk, and
10 working with industry to ensure that they are
11 mitigated and managed. So, I think a good
12 partnership there, between the research community
13 and industry, I think will help us make that
14 happen.

15 CHAIRMAN COWART: Tim?

16 MR. MOUNT: Going back to natural gas,
17 was there any discussion of the type of contracts
18 that a generator should have? I mean that the
19 assumption that they can purchase in the spot
20 market when they need to seem extraordinarily, you
21 know, dangerous.

22 MR. LAUBY: And one of the things that

1 I mentioned in my testimony and also the NERC
2 report that was -- of course we write those with
3 industry, is that we talk about contracts with a
4 firm view, and how much in the mix do you need to
5 have. You know, there's a place for spot, there's
6 a place for firm, there's a place or dual fuel
7 that actually works when you need it to work, and
8 some -- you just don't necessarily have to have
9 dual fuel. So that's something that we are
10 expecting the BAs and the RTOs and RCs to kind of
11 sort out what the quantities are needed of those,
12 just the right mix. But it was definitely my
13 testimony.

14 MR. THILLY: There's a sort of a tension
15 between market rules for capacity where there's
16 penalties, or whatever, versus having a firm
17 contract and, you know.

18 CHAIRMAN COWART: Paul?

19 MR. CENTOLELLA: You mentioned the topic
20 of federal state jurisdiction and how that relates
21 to distributed energy resources, I was wondering,
22 was there any sort of progress on laying out a

1 process or beginning to address that, and
2 beginning to, you know, resolve some of the
3 uncertainties that exist in that area?

4 MR. THILLY: No. (Laughter)

5 MR. CENTOLELLA: Okay, fair enough.

6 CHAIRMAN COWART: So, recognized.

7 MS. HOFFMAN: You definitely as well
8 recognize. I think the biggest part of the
9 conversation on potential role for FERC was
10 looking at some of the seams issues.

11 MR. THILLY: And I think you have the
12 same tension, jurisdictional issue with respect to
13 adequacy.

14 CHAIRMAN COWART: Sue?

15 MS. TIERNEY: I just want to come back
16 to natural gas again. It sounds as though the
17 conversation mainly focused on assuring that the
18 gas pipeline system can, and the arrangements for
19 gas, can work from a resource adequacy point of
20 view and from a performance, as is the case now
21 with many of the PJM, performance improvement
22 programs and are the same in New England. But I'm

1 eager to see the conversation move to also include
2 deliverability issues around the clock, on any old
3 day of the year, where the responsiveness to
4 whatever existing pipeline infrastructure is in
5 place at whatever moment, is used as efficiently
6 as possible so that you can avoid new, where
7 that's appropriate, but also that it will -- the
8 pipeline system scheduling process is better tuned
9 up with the scheduling process on the electric
10 side.

11 And anything that we, including DOE, can
12 do to help encourage the gas industry to
13 understand the kinds of things that were being
14 said around the table at the FERC meeting, there's
15 a lot of regulatory and institutional space up
16 there, that's not covered by FERC, related to the
17 gas supply chain. And so that I think they are
18 really important ongoing issues associated with
19 making sure that the two industries really are
20 moving in sync. I mean the conversation about the
21 instantaneous responsiveness of the electricity
22 industry to all these devices, is just so

1 completely different than the conversations on the
2 gas side.

3 And so it's not in FERC's bailiwick, but
4 FERC sees a side of it. It's not in NERC's
5 bailiwick, you see a side of it. Maybe, Pat,
6 there are things that the Office of Electricity
7 can help with, just continuing to move those two
8 industries together. I've spent a lot of time
9 recently with the NASP Standards Process, which
10 has now just resulted in a big, fat dud, in terms
11 of having the industry, the gas industry think
12 that this is a real issue that they need to
13 address.

14 CHAIRMAN COWART: Granger?

15 MR. MORGAN: Yes. Sue, I think I've
16 asked you this before, but are any of the New
17 England natural gas facilities put in onsite store
18 -- I mean, you can store gas, so in principle I
19 could address this problem in the short to medium
20 term with onsite storage next to my gas turbines.

21 MS. TIERNEY: There definitely has been
22 discussion of that, and there have been several

1 reports when my colleagues wrote -- Paul Hibbert
2 wrote a report for the Attorney General on looking
3 at onsite storage, deliveries of LNG, on
4 real-time, pipeline additions, and then dual fuel
5 capability.

6 MR. MORGAN: But nobody actually built
7 anything yet.

8 MS. TIERNEY: Well, and there's a
9 proposal for a new peaking facility where the
10 interveners came in and asked for LNG storage. I
11 happen to have been a witness in that case, and
12 happened to have been Head of the Siting Board
13 many years ago, and thought that that was not
14 likely to be able to get the siting of a satellite
15 storage for LNG facilities in that window of time,
16 that the capability commitment came, like a
17 three-year timeframe. Picture how hard it is to
18 site a natural gas pipeline these days, just
19 picture, okay --

20 MR. MORGAN: Yes. I got it.

21 MS. TIERNEY: So, yes, as he answers
22 yes.

1 MS. HOFFMAN: So, one other comment that
2 I remember and you guys are going to have to
3 correct me if I'm wrong, is I think there was a
4 recognition in the meeting, in the technical
5 conference, that we need to get some more in-depth
6 conversations and that had to be at the
7 interconnection level, or at a lower, you know,
8 part of the system, and that is talking about
9 every single part of the country, in one meeting,
10 you know, tended to just generic tie some of the
11 issues so much that we haven't gotten through
12 enough of the conversation. At least I vaguely
13 recollect that being a point brought up.

14 CHAIRMAN COWART: Anything further on
15 this topic? I think we are ready now to hear from
16 the Energy Storage Subcommittee.

17 MR. SIOSHANSI: All right. So, I'm
18 stepping in for Chris Shelton, who was supposed to
19 be stepping for Merwin Brown. Hopefully not too
20 much of the message has been lost in translation,
21 but --

22 MS. TIERNEY: Well, you look like both

1 of them.

2 MR. SIOSHANSI: What's that?

3 MS. TIERNEY: You look like both of
4 them.

5 MR. SIOSHANSI: A combination of the
6 two, perfect. So there are two major updates as
7 far as the Energy Storage Subcommittee is
8 concerned, two work products that we are working
9 on right now. The first one is a white paper on
10 high penetration of energy storage. Just as a
11 little bit of background on that product, the idea
12 behind it, or the motivation behind it is that
13 there's been a fair amount of work recently, a lot
14 of studies looking at what a high penetration of
15 renewable energy future would look like, what the
16 transition to that future would look like. What
17 the technical challenges would be, the economic,
18 and so on and so forth.

19 So the idea was, you know, why not tee
20 up similar sorts of studies for a high penetration
21 of energy storage future. Now this white paper is
22 not supposed to do that actual analysis, it's sort

1 of supposed to lay the groundwork for that type of
2 work to be done in the future. And the approach
3 that we are taking is this -- I think Merwin
4 described it as a scenario-based approach. He
5 updated the Committee at least two or three times,
6 I think, on this over the past year, or
7 year-and-a-half. And so the idea is, we are sort
8 of sketching out different visions of what a high
9 penetration of energy storage future would look
10 like, and those different versions of the world
11 vary on a couple of different axes, so to speak.

12 Now, the Committee met in person after
13 the last two EAC Meetings and in those we sort of
14 -- in those and then in subsequent meetings via
15 phone, we fleshed out and sketched out sort of
16 what these axes that would differentiate these
17 future versions of the world where -- and what
18 we've settled on at this point is that one axes is
19 the extent to which adoption of energy storage is
20 market driven versus policy driven, and the other
21 axis is the extent to which the operation, use,
22 planning of energy storages very tightly coupled

1 with what system operators utility and so on and
2 so forth are doing, versus a very sort of
3 loosely-coupled, people just buy their devices and
4 operate them however they want.

5 Now this is sort of what the working
6 group has identified right now, so I don't know
7 that it's necessarily set in stone. Chris is
8 leading the effort, so I won't speak for him, that
9 that's set in stone, so given that we have these
10 two axes, and sort of these two extremes we have
11 at this point identified sort of four different
12 visions of what that high penetration of energy
13 storage future looks like.

14 And so we are now at the stage that
15 members of the working group have sort of been
16 identified to sketch out or draft what those
17 futures look like. And the working group actually
18 has another in-person meeting today at 1:00, just
19 across the street, so I guess we'll find out then
20 what the status of drafting those are, and then
21 sort of what the next steps are.

22 The other work product that we are

1 working on is -- All right, so the other work
2 product that we are working on, is the Biennial
3 Storage Program Assessment. So, a lot of this
4 material is just repeated from the update that I
5 gave at the March meeting but some of it has been
6 updated based on what's happened over the past
7 three months. So just as a matter of background,
8 the legislation that established this Committee
9 has two statutory requirements in relation to what
10 this Committee does in relation to energy storage.

11 So, one, is that every five years the
12 Committee, in conjunction with the Secretary,
13 shall develop a five-year plan for domestic energy
14 storage industry for electric drive vehicle
15 stationary applications, and electricity
16 transmission and distribution, so that's what are
17 termed the five-year requirement. And then every
18 two years the Subcommittee is supposed to assess
19 the performance of the Department in meeting the
20 goals established as part of the five-year
21 requirement. And then make specific
22 recommendations to the Secretary on programs or

1 activities that should be established or
2 terminated to meet these goals.

3 So, just to sort of lay out the
4 framework for what we are doing now. In 2014, we
5 had approved the 2012 storage report, and this
6 fulfilled both of the requirements, and then in
7 2014, later in 2014 I should say, another storage
8 plan assessment was approved which fulfilled the
9 second requirements. And the reason I'm bringing
10 this is up, is because five not being divisible by
11 two, we run into these problems where every so
12 often you need to produce, according to the
13 statutory requirement, three of these reports
14 three years in a row.

15 And so we are hitting that point again
16 in which in 2016 we have a two-year requirement,
17 in 2017 a five-year requirement, and then again in
18 2018 another two-year requirement. So what we are
19 aiming to do with the 2016 product is to fulfill
20 both of the requirements, I use the word aim
21 there, because we are only going to do that if the
22 work product is not going to be unduly delayed.

1 The reason for this is, I'll get to in a moment,
2 is one of the things we've been done as part of
3 this assessment is we've been conducting
4 interviews with representatives of different
5 organizations working in the energy storage world,
6 and to be frank, you know, their comments that
7 we've gotten in these interviews are at some point
8 are going to go -- at some point, and I'd say at
9 some point quickly, are going to go stale if we
10 wait too long to produce this document.

11 And so given the time sensitivity I
12 don't want to end up in a situation where we are
13 approving an assessment two years after these
14 interviews have been done, and so if we are not
15 able to -- if we are not able to sort of meet both
16 the statutory requirements relatively quickly than
17 the 2016 product, the idea was that it will just
18 fulfill the second requirement and then we'll come
19 back to the first requirement with the separate
20 report next year; of course trying to avoid that
21 to reduce the amount of paper getting shuffled
22 back and forth.

1 So, a few changes in terms of what we
2 are doing with this year's assessment compared to
3 the 2015 assessment, one is that I am aiming to
4 keep this much simpler, much shorter than what we
5 produced in 2014. The 2014 document, I'd say
6 about half of it went into basically, recapping
7 what DOE's storage goals are, what its strategy
8 is, and so on and so forth, and I'd rather work
9 under the assumption that DOE knows what it's
10 doing currently, and there is no need to repeat
11 that to it.

12 There was also, I'd say, a bit of an
13 organization problem with the 2014 report, in that
14 the 2014 assessment had recommendations that were
15 sort of buried and scattered amongst 30, 40 pages,
16 and so if you read it in detail, you found
17 everything there but if you just tried to glance
18 at it, it was sort of hard to glean what the
19 recommendations and assessments, and so on and so
20 forth were. So the idea now is to basically have
21 a one or two-page executive summary of however
22 many bullet points, with all of our

1 recommendations, all of our assessments, you know,
2 we think you should this, we think you shouldn't
3 do that, whatever and what not.

4 And then only if needed, basically have
5 follow up text after the bullet points to sort of
6 provide further context into why we are making
7 such a recommendation, or why the assessment says
8 this or that or whatever and what not. And again,
9 in terms of keeping it simple in the organization,
10 it might help us that if we can induce -- if we
11 can say something in four pages of text, let's say
12 that four pages of text, as opposed to 40 pages of
13 text.

14 The third change which I mentioned a
15 moment ago, is that we've been doing outside
16 interviews, and the idea here is, as opposed to
17 just the -- you know, five or six members of the
18 working group offering their opinions on DOE's
19 storage program, let's go and talk to other people
20 in different spheres that are involved in the
21 energy storage world, so to speak, and get their
22 opinions on what DOE is doing well, and ideas of

1 recommendations for things to place on DOE's
2 radar.

3 In terms of the groups of interviewees,
4 so this sort of gives you the range of
5 organizations that we've been speaking to. So,
6 regulators, these are mostly regulators at the
7 state level, ISOs, RTOs, storage developer,
8 storage deployer, storage researchers, buried in
9 storage in deployer so there are obviously
10 utilities as well, but these are not all
11 necessarily utilities that are deploying storage,
12 but they could be other orgs that are doing that
13 as well.

14 And at this point the last four of those
15 groups we have conducted our interviews with,
16 specific people that we've identified, and we are
17 trying to wrap up and hand down a few regulators
18 from a few states. And again, the idea here is to
19 get a mixture of states that are sort of, I'd say,
20 at the forefront of pushing storage technologies
21 and others that are not, again, to get a variety
22 of views on what DOE is doing in this area.

1 At a high level, in terms of our plan
2 here, so by conscripted volunteers for the working
3 group, and I apologize to them, but I don't
4 remember who all I volunteered. So, those of you
5 who have volunteered, thank you. We've prepared
6 our proposed list of interviewees, alternates sort
7 of substandard questions to ask different groups
8 of interviewees, scheduling and conducting
9 interviews is what we are doing right now, and we
10 are at the tail end of having that wrapped up.

11 Once that is done, the plaintiffs have a
12 discussion amongst the working group members get
13 input from other members of the Subcommittee, and
14 so the draft, our first cut and our assessment
15 recommendations and goals. Then probably after
16 that we will get some feedback from DOE personnel
17 just to, you know, make sure that we are not
18 missing anything in terms of putting our
19 assessment together. And then the last two steps
20 will be to draft and revise the report, and then
21 submit the report for Subcommittee and EAC
22 approval.

1 We are being ambitious here and aiming
2 for getting this out by the September meeting, but
3 that's a lot of items on the bullet list that
4 remains to be done in the three months, but
5 there's nothing wrong giving students an
6 assignment that they don't have enough time to do,
7 so --

8 (Laughter) So, with that I'll take
9 any questions, comments, and of
10 course agreement is most welcome.

11 CHAIRMAN COWART: Questions or comments?
12 Carl?

13 MR. ZICHELLA: Yes. I just wanted to
14 say, this has really been a great effort, and the
15 work that you've been doing on this has been
16 terrific. I think having participated in some of
17 the interviews, in fact, that I think that's how
18 we met Curt, who was with us yesterday, at least
19 how I met him, was through those interviews, and
20 became so impressed with what we were -- the
21 feedback we were getting, very optimistic.

22 We are going to have a very useful

1 product for the Department when we are done. And
2 I think whoever's idea it was to do these outside
3 interviews it was a very good insight, because we
4 are fielding people are actually using the work
5 that DOE has engaged in, their impressions of it,
6 I think are going to be very valuable, so I just
7 wanted to say, it's been a good project, it's been
8 fun to work on.

9 MR. SIOSHANSI: Yes. I appreciate that,
10 and I didn't stress that enough. The interviews
11 have actually been very informative for --
12 personally, and I think Carl or Tim, you've also
13 -- Tim has also been on some of them, I remember
14 and hopefully he has the same positive opinion of
15 the interviews.

16 MR. MOUNT. Yes.

17 MS. HOFFMAN: I guess the only thing
18 that I would add is -- or encourage is, I think
19 simpler is better. I don't think we need, and
20 there is no requirement for 40- 50-page report
21 from this Committee and, you know, take your top
22 priorities, and I think that would be well

1 received. For all the reports and all the
2 activities that the Committees are working on, you
3 know, just the comment that we're coming into this
4 transition period, and so whatever report we get
5 done, before the end of December, you know, we'll
6 have that anchor point, otherwise, you might want
7 to see what the landscape is before, you know,
8 thinking about that.

9 MS. TIERNEY: That is a really scary
10 thought.

11 CHAIRMAN COWART: Ramteen, are you in
12 need of any other assistance from the Committee,
13 or any other members of the Committee? Or do you
14 think this seems to be going quite well?

15 MR. SIOSHANSI: In my opinion is it's
16 going well. So I think, I think we have a good
17 process in place, and it's moving along well. As
18 I said, there's a lot to be done in the next three
19 months, but despite my flippant remark, I actually
20 think it is doable to get this -- to get a nice
21 product together in time for the September
22 meeting. So, I'm going at it with that goal in

1 mind.

2 CHAIRMAN COWART: Well, along with the
3 others, I think it's a great idea to replace the
4 business of telling the Department what it's
5 actually doing, which it knows, with effort on the
6 interviews, to collect information from the larger
7 community that can then be assessed by this
8 Committee and report it. That seems to me to be a
9 terrific improvement; and congratulations, to you
10 all for figuring that out.

11 MS. TIERNEY: And when you present this
12 in September, it might be really interesting for
13 us, including us, the DOE, who is at the meeting,
14 to hear some of the color around the insights that
15 you are picking up from the interviews. I can
16 imagine that will take time to write things up
17 about that and maybe that's a way that you could
18 have a lighter burden on you guys, is just by
19 talking to us about some of those insights, that
20 would be helpful.

21 MR. SIOSHANSI: Yes. Definitely.

22 CHAIRMAN COWART: Anything further, on

1 storage? All right, thank you very much. We are
2 happily ahead of schedule, and so, I'd asked if
3 Anjan would be prepared to advance the discussion
4 of Grid Modernization and said he is, so why don't
5 we take that now.

6 MR. BOSE: Okay. So, obviously the
7 Subcommittee, they are doing an extraordinary job,
8 they are only taking half their time for
9 presenting their work. Anyway this -- my report
10 is on the Grid Modernization Initiative Working
11 Group, and I think there's a lot of confusion as
12 to what a working group is. I think we are the
13 only one, as opposed as to the Subcommittees and
14 so -- Let me just bring you up to date, as to how
15 we came about.

16 You may remember about three meetings
17 ago, when Bill Parks and Kevin Lynn presented the
18 Grid Modernization Initiative Plan, the five-year
19 -- the multi-year plan as it was called at that
20 time, about the Grid Modernization Initiative, it
21 was a cross, DOE across all departments of DOE.
22 And the idea was to engage pretty much this

1 interdisciplinary area of grid modernization. And
2 so at the end of their presentation, they asked
3 for guidance and help from the EAC and that
4 prompted the creation of this working group. And
5 since that time of course, while the working group
6 has been trying to ponder as to how we can advise
7 and help, things have moved on, and there was a
8 RFP and FOE, I think is the right word, acronym,
9 that was sent out for all the labs to participate
10 in this effort, and that process is now complete
11 and there's a very large number of projects that
12 have been funded, all with the national labs.

13 So, while the working group is kind of
14 grappling with all of these things that are
15 happening, one of the issues that we keep running
16 up against, about the grid modernization is that
17 we always start saying, this is really
18 complicated, and even though we seem to understand
19 what it is, nobody else seems to understand what
20 it is. And so -- and we can't seem to figure out
21 how to put these in terms that other people can
22 understand. So that's kind of puts it at a

1 disadvantage, I think, in the communications
2 department.

3 But here is what we finally came up
4 saying there are about three areas where I think
5 this group can help, and one is to look at the
6 portfolio of projects that are being funded, and
7 try to do, whether -- a check on whether this is a
8 complete set or there are gaps. What are the
9 gaps? Are they on target? Are they subjects, or
10 the amount of money that are being spent on these
11 subjects, are they at the proper priority levels,
12 and so on? So that's one area, I think, where we
13 would like to delve into.

14 The next area was this nexus of policy
15 versus the technical, most of the projects that
16 have been -- that are out there, that have been
17 funded, are mostly technical, and so there is this
18 issue of policy, because many of the -- many of
19 the things that are being developed, come up
20 against the policy issues, okay, so for example,
21 in the planning area, if we are going to do
22 certain things, certain things are being prodded

1 because of RPS and other issues, which are more on
2 the policy side.

3 So, that makes it -- And there is an
4 effort within DOE, especially in the second phase
5 of the QER, looking at many of these policy
6 issues, and so we need to be -- need to have that
7 connection. And finally the third thing we
8 thought would be important to look at, is what
9 would these projects -- How will these projects be
10 considered successful or not? What are going to
11 be the deliverables out of these projects? Are
12 they going to be more than just reports on the
13 shelves, or are they going to be pieces of
14 software processes that can be adopted by NERC or
15 somebody else, or what -- whatever.

16 So those are the three areas that we
17 thought we will kind of tackle, but as you can see
18 these are not necessarily very well defined. So
19 we are still struggling with exactly how to go
20 about doing that. But one of the places we
21 decided that we are going to start, is to look at
22 the portfolio, and the portfolio, by the way, of

1 these projects that the labs are doing is large.
2 I think it's, I don't know, several dozen
3 projects, and I think more than a couple of
4 hundred million dollars over the next three years.

5 And we didn't think we could add too
6 much, because each of these projects have their
7 own set of advisors, from the industry and so on,
8 and they are delving into the details of this
9 project. So we thought we should be staying more
10 at the strategic level in terms of advice. And
11 when we look at the projects, there are six
12 projects, which are called foundational projects,
13 and these are the very broad projects.

14 For example, one is to look at the
15 development of testing networks. Another one is
16 to look at the architecture of the power grid and
17 the communication and the whole it. Okay. So,
18 these are very large conceptual type projects, and
19 we thought we would start with those as being more
20 areas that this group can -- could probably
21 contribute something to.

22 So we thought what we are going to do,

1 and having kind of spent, like I said, the last
2 nine months or so, just essentially trying to
3 decide what we are going to do. We have decided
4 that we will have the PIs of the six projects do
5 webinars for us, for the working group and kind of
6 describe at a high-level what their plans are.
7 And we actually got started yesterday, in our
8 meeting this morning with, one of those projects,
9 the testing networks project, the two CO-PIs from
10 Sandia, and Idaho National Lab, come and present
11 what they planning. So, we got that started. So,
12 hopefully by the time we next time you'll hear
13 more of that.

14 Now, Paul Centolella, who has left, he
15 was at the meeting yesterday, and he suggested
16 that the Smart Grid Group will -- may have some
17 interest in this, and especially on the
18 architecture one, and another one of those
19 projects which was on metrics. And so we will
20 probably do these jointly, with the Smart Grid
21 Subcommittee. By the way, when we look at
22 overlaps, actually, whatever the Grid

1 Modernization Initiative Working Group has doing,
2 overlaps with all the sub-committees, so there is
3 no way to get around that because it is one of
4 these overarching, interdisciplinary things, so we
5 can't avoid overlaps, but we are very much would
6 like to work with everybody, and we'll try make
7 sure we advertise our webinars widely enough for
8 the whole EAC, so anybody who wants to join happy
9 to join. So, that's what I have to report.

10 CHAIRMAN COWART: Pat.

11 MS. HOFFMAN: Anjan, I thank you for
12 doing this, I mean one of the goals that I really
13 agree with you and hope we can get out of this,
14 is, where are the gaps, and our research portfolio
15 in which we'll be looking at investing in. Also,
16 I'd like to think about reasonableness, and I'm
17 not sure how to say this correctly, so I'll just
18 say it. It's as we are looking at doing things at
19 scale, what does it mean for the transformation of
20 the grid?

21 You can take the modeling work that we
22 did, you know, what is the consistency that needs

1 to be across the industry to make a difference?
2 You can take the sensor work. I mean, the one
3 thing of why I had liked to place the measurement
4 in it so much, was it gave visibility, but it gave
5 a platform across the whole system at scale, that
6 folks can correlate around, and really get more
7 value out of. And so that's something to think
8 about is, we have a lot of individual projects,
9 but where we have a hard time is: How do we
10 network the system?

11 You could take, you know, some of the
12 projects that people are looking at, a power flow
13 control. You know, what would be reasonable in
14 looking at this at scale. You know, what -- you
15 know, we don't need to do everything everywhere.
16 You know, what is the gap? If those -- if you
17 could think about those two ways, that you are
18 looking at, I would appreciate that.

19 MR. BOSE: Yes. And you know, this is
20 precisely what the group has struggled with in the
21 sense that -- I think the GMI Group -- the DOE
22 group that are doing this, are quite aware that

1 some of the proof of the pudding is going to be in
2 some of the demo projects that are still to come,
3 right, and being defined. The question is, you
4 know, there is the demo project which says, let's
5 put our storage over here and see if it works.
6 But that's not the intent, the intent is how does
7 it benefit the whole system, and that's what we
8 are struggling in terms to get together, and I
9 think the DOE Committee is also struggling with
10 that.

11 And so I think if we can make some
12 attempts for advice in how to choose such demo
13 projects, and things like that, I think we will --
14 that needs some help, yeah.

15 CHAIRMAN COWART: Anybody else? Wanda
16 and then Carl?

17 MS. REDER: Yes. This is more based on
18 -- I went to one of the regional breakout meetings
19 where there was efforts to get input, and I do
20 think there's opportunity on the seams, because in
21 the discussions at the breakouts, you could kind
22 of see, where there will be a little opportunity

1 to coordinate. But beyond that, you mentioned
2 that none of the advisory effort kind of sees
3 these three pieces with the last one being output.
4 Great idea.

5 I would say, in hindsight, on the ARA
6 work, one of the things that we found late in the
7 process was the need to get the information out
8 into the industry, overall and that's probably
9 something that could be contemplated at this point
10 is, you know, demonstration, the work great,
11 output great, but once we have it in hand, even
12 though there's people from industry involved in
13 that specific project, if we can contemplate the
14 outreach mechanism in order to get it embedded
15 into industry now, I think it would be a great
16 advisory piece to kind of take on, and encourage
17 that thinking early when the scoping is occurring
18 as compared to trying to bolt it on after the
19 fact.

20 MR. BOSE: I think at least the big
21 projects, the foundational projects are already
22 kind of facing that. They are saying, well, okay,

1 so we are going to have a library of software or
2 some testing, or somebody knows about it, right.
3 So I think there -- but I think you are right, we
4 should probably try to come up with a
5 communication plan of some kind and how people
6 would know.

7 MS. REDER: Right. Yes.

8 CHAIRMAN COWART: Carl?

9 MR. ZICHELLA: Yes. Thanks. This may
10 be so obvious it doesn't need saying, but and I
11 understand some of this hard to define and remains
12 a little vague, when you talk about modernization
13 it seems like we have a concept of where we need
14 to end up. I do think that need -- and that's
15 always a moving target too, because things change
16 constantly, and alter where you need to go. But I
17 think at least for helping to organize our advice,
18 it would be useful for us to have some common
19 understanding of what it is we are aiming at, and
20 helps us prioritize among the wired six
21 foundational projects, foundational.

22 What makes them the most important? To

1 help us prioritize those things, and even among
2 those things about what's most important to
3 initiate first given where we want to end up,
4 because the other things that we need to do rely
5 upon those things happening, that kind of thing.
6 I have a hard time conceptualizing how we evaluate
7 all of this, when there's so much happening, and
8 it's all good and it wouldn't be initiated if it
9 weren't important, at how we actually put our
10 finger on what are the most important things for
11 the Department to really train its resources on;
12 just an observation.

13 MR. BOSE: I think you put your finger
14 on the top -- on the hard topic. In our
15 conversations we keep talking about, yes, there's
16 transformation going to take place, but we don't
17 know where that's going to end up, and if we know
18 I think our world would be a lot simpler, but we
19 don't. And the question is, how to get ready for
20 those transformations when they come along, and
21 how flexible does the grid have to be, and how
22 reliable, and how resilient, and how do you build

1 all of this into it. And I think we have
2 struggled with the same questions. I'm not sure
3 there's a very easy answer to that.

4 MR. ZICHELLA: No. I understand.
5 That's why I think Merwin initiated the scenario
6 planning effort for the storage work is because it
7 is hard to put your finger on that, because things
8 could go in many different directions, and there
9 are different drivers, the axes that were
10 mentioned earlier. You know, it's a nice tool for
11 that, but it's a lot of work as we've seen and
12 actually engaging in that, and trying to
13 understand what those futures might look like.

14 Then you can track those things. You
15 can actually look what -- for early indicators of
16 which of those futures is actually unfolding, and
17 it helps you guide your work as things actually
18 are occurring, you can -- the reality test, as you
19 have more experience based on what you had had
20 suppose might occur. This is a tough one. It
21 really is.

22 CHAIRMAN COWART: Phyllis?

1 MS. CURRIE: One of the things that was
2 discussed in our Working Group meeting was,
3 whatever we determined is needed to modernize the
4 grid, ultimately requires capital investment by
5 somebody. And in order to have a receptive
6 audience for that investment there needs to be
7 ongoing communication with public utility
8 commissioners, legislators, and others, who would
9 ultimately have to authorize the expenditure of
10 the funds. And, you know, there was discretion
11 about the role that DOE could play in terms of
12 that kind of communication because DOE's role is
13 not that of a utility or a vendor, or a particular
14 advocacy group, but more of a neutral.

15 So, we think that there needs to be more
16 discussion along the lines of where DOE could have
17 that role supported through the budget process and
18 funding that they need in order to carry that out.
19 So that was just something that we talked about a
20 lot.

21 MR. BOSE: Yes. In fact, in the grid
22 modernization initiative, there's a whole section

1 on institutional issues, and where -- help and so
2 on, but I think Phyllis is raising the issue of
3 the communication itself; how to get people
4 onboard that understand some of these issues, even
5 though they are complicated technically.

6 MS. TIERNEY: You and Granger, and I,
7 are on this Resiliency Committee, somewhere else,
8 and how much of what Phyllis is suggesting, in
9 terms of the interest of audience, really could go
10 to the resiliency narrative, it's truly a question
11 about whether or not there is a significant plank
12 of grid mod that addresses that issue. And if so,
13 then maybe some stitching of -- looking at it from
14 that point of view could also be helpful.

15 MR. BOSE: Yes. What Sue is referring
16 to --

17 MR. MORGAN: That's an offline
18 conversation, Sue.

19 MR. BOSE: Yes. But Sue is referring to
20 a national Committee that Granger is chairing, and
21 it was also instigated by DOE about how to -- what
22 are the ingredients of a resilient grid, a more

1 resilient grid. You know, when I think of that, I
2 think the work that we have taken on, the Grid
3 Modernization Initiative, is much broader than
4 just resiliency. And so what makes our work
5 difficult is that we have to now translate that
6 into a portfolio of projects whose outcome is
7 going to help do this transformation of the grid,
8 and I think -- So to give advice on exactly what
9 needs to be the ingredients of these projects are
10 difficult.

11 So, I mean, apart from the fact that
12 what Phyllis mentioned that much of -- that the
13 transformation will take hundreds of billions of
14 dollars, according to EPRI reports and other
15 reports, but even the R&D is going to take a long
16 time and a lot of money, more money than what DOE
17 has at this time. And I think that -- the
18 question is, how do we help the process that DOE
19 gets more money, convinces the general public and
20 the Congress that this is an important issue? And
21 without that kind of R&D we are not going to be
22 able to even demonstrate some of the benefits of

1 what's coming. And I think that's what we are
2 struggling with, the nitty-gritty, so to speak, of
3 this process.

4 MS. TIERNEY: Just as a follow up, Billy
5 Ball doesn't realize that -- Remember that
6 National Academy Committee which was right after,
7 I guess, Katrina and Rita -- I don't know -- and
8 you talked about how you were able to address AMI
9 issues, advanced metering in order to get
10 visibility into the grid, for resiliency after
11 that, and that really stuck with me as an
12 important foundational issue for all of this, and
13 I realize it's way broader than that, totally.
14 So, Billy, I've never forgotten that; you know
15 that.

16 MR. BALL: That was a long time ago.

17 MS. TIERNEY: As we get older we
18 remember things from way back, not from yesterday.

19 CHAIRMAN COWART: By the way, Anjan, let
20 me just emphasize that Pat Hoffman said a minute
21 ago, which is that I do think that it's one of the
22 things you should keep your eyes -- that this

1 Working Group is looking at, this broad range of
2 things, but to keep your eyes open to identify
3 gaps where the Department isn't addressing
4 something. It seems to me to be really valuable
5 addition that can come from this group of people
6 looking over all six of those elements. All
7 right, thank you very much.

8 We have one other Working Group that the
9 Committee has spun out, and I'd like to ask Carl,
10 just to give us a quick update on the Clean Power
11 Plan Working Group.

12 MR. ZICHELLA: Thanks, Rich. I'll just
13 do it from here if you don't mind.

14 CHAIRMAN COWART: Yes, please.

15 MR. ZICHELLA: There is not a lot to
16 report, we've sort of -- as the rule itself has
17 been stalled. You know, we've been trying to suss
18 out a little bit of where to focus our attention.
19 There's been a lot of work turned towards modeling
20 needs, both at the Department, here, various other
21 agencies, and privately, private institutions that
22 have been working on tools for states to use.

1 We've decided to try to come up with a
2 series of webinars working with the Department on
3 what the status of some of these things are, so we
4 could get a better understanding, again, not to
5 tell the Department what it already knows, but to
6 try to see where we can focus recommendations for
7 moving forward in this very uncertain period
8 between when the Supreme Court has issued its stay
9 and when we'll know whether or not the rule
10 actually proceeds.

11 There is so much activity already
12 occurring, the rules having a major effect even
13 though it's not actually being implemented at the
14 moment. We are seeing many states, if not all
15 states, many of them, even some of them that have
16 brought suits continuing to plan for compliance
17 with the rule. So there is a lot happening, but
18 we want to try to get a better understanding about
19 the interactions between the Department and the
20 other Federal players, EPA, FERC, some of the
21 standard initiatives that are out there.

22 Caitlin has offered a list of potential

1 topics for us, and the next few weeks will be sort
2 of winnowing those down, and we'll begin
3 scheduling some of those webinars. It doesn't
4 seem like we are going to have a rule prior to our
5 September meeting, so we wanted to take the time,
6 to sort of think through a little bit more about
7 what is truly needed. I think we've heard from
8 some of the states that modeling, in particular,
9 and consistent modeling tools that states can use
10 for compliance planning would be a very useful
11 thing.

12 So that's one of the places, we are
13 beginning to start and realize there is a lot of
14 activity in that space. It's not like -- it's
15 just getting off the ground. That's pretty much
16 all I have, Rich.

17 CHAIRMAN COWART: Anything for that?
18 Granger?

19 MR. MORGAN: You know, just an
20 interesting insight that we recently got. We were
21 in -- I'm Co-Director of a large NSF supported
22 center, on climate and energy decision-making at

1 Carnegie Melon, and we ran workshop in Washington
2 a couple of months ago, on missed opportunities
3 and potential dead ends, with respect to climate
4 policy.

5 The folks from RFF at that meeting,
6 argued that they didn't think that the Clean Power
7 Plan was actually going to result in significantly
8 greater reductions in CO2 emissions than would
9 have happened anyway, but that they thought it was
10 really important in terms of getting various
11 folks, like PUCs, Commissions, and state DEPs to
12 talking to each other, who had not been doing so
13 in the past. And so that might be a dimension
14 that you guys should follow up on, and I would
15 guess that -- I mean, I could point you to the
16 right people at RFF if you need help.

17 MR. ZICHELLA: Yes. I'd like to talk
18 with you some more about that. You know, it's
19 pretty hard to put your finger on what business as
20 usual reductions would, when in face --

21 MR. MORGAN: You bet, given what's
22 happening to gas and other stuff.

1 MR. ZICHELLA: Yes. Not only that, but
2 I think just the portent of having the rule, has
3 caused an effect, people have been planning --
4 utilities have been planning for a carbon price
5 for years, and actually factoring that into their
6 procurement decisions, and we don't have a carbon
7 price. So, you know, is the fact that we've had
8 the conversation --

9 MR. MORGAN: Well, we have it in some
10 parts of the country.

11 MR. ZICHELLA: Well that's true, but I
12 mean, talking about a national one. The idea that
13 these things are having an effect kind of skews
14 what the business as usual result would have been
15 even though they are not actually being
16 implemented. It's pretty interesting.

17 CHAIRMAN COWART: It's the shadow of a
18 shadow price.

19 (Laughter) Chris Shelton, I see you
20 have made it. Congratulations! I
21 have a question for you. Are your
22 panelists here, and if we took our

1 break early would you all be ready
2 to go early?

3 MR. SHELTON: I believe so, unless
4 somebody wants to correct me. Yes, everybody is
5 here.

6 CHAIRMAN COWART: All right. If
7 everybody is here and we are at -- We again, have
8 the good fortune to be ahead of schedule, and what
9 I'd like to do is take our 20-minute break right
10 now, and resume at 10:00 o'clock with the panel.

11 (Recess)

12 CHAIRMAN COWART: Thanks everybody we
13 are ready to proceed. Chris?

14 MR. SHELTON: Are we ready?

15 CHAIRMAN COWART: Yes.

16 MR. SHELTON: Okay. Great. Well, good
17 morning. We are excited to have a panel here that
18 I believe I remember specifically Pat asking that
19 it would be good to hear about the view from the
20 trenches on energy storage, so we decided to put
21 together a panel on that. So the focus here is
22 trying to get a broad view of real world issues

1 that are happening where storage is being deployed
2 today, or where it's being anticipated to be
3 deployed. And we want to have as broad a
4 perspective as possible so we want to look not
5 only from a technology perspective, or standards
6 but also markets policy regulation, any other
7 issues that we are seeing out there. So that's
8 the purpose of the panel, and we've been looking
9 forward to it.

10 And we have with us today, Ellen
11 Anderson, she's the Executive Director of the
12 University of Minnesota, Energy Transition Lab;
13 and we also have Mike Toomey from -- he's the
14 Project Director for Energy Storage, at NextEra
15 Energy Resources; we have Praveen Kathpal, Vice
16 President of AES Energy Storage; and we have Doug
17 Davie, who is Vice President of Wellhead Electric
18 Company.

19 So, I'm going allow each of them, to do
20 an intro of what they focus on in the industry and
21 some -- I believe some of the panels have slides,
22 and so they'll do a short presentation about their

1 perspective and then we will do a Q&A, which will
2 be the meat of the discussion, and of the panel.
3 I will lead off with a few questions to get things
4 going, and then we'll open it up to the EAC for
5 open discussion with the panel as well. So let's
6 go ahead and get started with Ellen Anderson. And,
7 Ellen, do you want to go ahead?

8 MS. ANDERSON: Hi. Ellen Anderson, and
9 it's a pleasure to be here. I work at the
10 University of Minnesota, and run a pretty new
11 center called the Energy Transition Lab. I'll
12 start with a little bit of my background, which is
13 in public policy, not in technology. I served in
14 our State Senate for many years. Passed our
15 Renewable Energy Standard, Chaired our Public
16 Utilities Commission for a short time, and advised
17 our Governor on energy. So, state policy is
18 really where most of my experience is. And at the
19 university our Energy Transition Lab is not a test
20 tube lab, it's more of a policy and innovation
21 kind of lab -- Are we good?

22 And we work in partnership with a lot of

1 different university experts but we are very
2 externally focused and great, collaborative
3 projects to advance our energy transition, and
4 work with many, many stakeholders, around the
5 state in particular, although we are interested in
6 broadening our network and working in the Midwest
7 as well.

8 So I would say in the energy storage
9 area, we are emerging market, but we are an
10 emerging market with very high potential, and a
11 lot of interest and a lot of momentum. So we are
12 excited to participate in something like this, to
13 be able to really reach out across the country.
14 And to the resources at DOE to let you know what
15 we are -- that we are very interested in this, and
16 we want to figure out how to grow our market,
17 because we know even though the cost-effectiveness
18 is a bit of a challenge in our market now, with
19 low to moderate electricity prices, we know that
20 we have a lot of potential growth areas for
21 storage, and we want to be ready as the market
22 evolves, and I think it will be ready for us to

1 take on in a big way, and in a very short time
2 period.

3 So we want to get started now. So, I'm
4 just going to give you little bit of background
5 about what we are doing, so that Energy Transition
6 Lab has created an Energy Storage Alliance in
7 Minnesota, which is basically a collaborative
8 consisting of stakeholders from across the
9 interested sectors, in our state, including
10 industry, utilities, wind and solar, NGOs and
11 state government. And we are figuring out how we
12 can advance storage in Minnesota.

13 We have about 100 stakeholders who are
14 participating, and that just tells you about the
15 amount of momentum and interest that we have. We
16 are technology neutral, we are interested in all
17 kinds of storage, and we are working primarily at
18 this point at MISO, and we aim to really engage
19 our Public Utilities Commission and our
20 legislature, in helping to educate and inform them
21 about opportunity in storage and how to take
22 advantage of those opportunities, how to

1 understand them and how to create the market
2 policy and regulatory frameworks to make that
3 work.

4 And so we want to do a high-level
5 strategy workshop, with key decision-makers in our
6 state in the near term. I'm collaborating with
7 Janice Lin and others on that idea, and we welcome
8 all kinds of technical assistance and we can get
9 into that in a little more -- in a minute. And we
10 also are working with practitioners, who are
11 trying to figure out how to embark on storage
12 projects. And so we can talk about that a little
13 bit, too, as we move forward.

14 So, we are really the catalyst of
15 discussion around storage in the State of
16 Minnesota right now, and its growing fast. So,
17 just a snapshot of our state and region, which I'm
18 sure many of you already know. We are in the MISO
19 region, we are in the Midwest, we have a wealth of
20 renewable energy resources in our state. Our
21 state has no fossil fuels, but of course some of
22 our neighbors, like North Dakota have a great deal

1 of fossil resources. So we have a lot of
2 diversity in MISO, in our region, primarily coal
3 traditionally, but it's shifting quickly, and a
4 renewable component of our energy mix is evolving
5 very, very quickly.

6 And so now -- that should be 15,000
7 megawatts of wind capacity now in MISO, it's
8 around 10 percent wind now, but they have, double
9 that amount in the queue, and so we expect a lot
10 of growth in renewables, in our state in
11 particular, we have strong renewable energy,
12 energy efficiency and greenhouse gas rules in law
13 and goals in law. And so, one of the things about
14 storage that excites some of our policymakers and
15 state government leaders; is the idea that we
16 could figure out how to integrate higher
17 penetrations of renewables.

18 If we really -- If we figure out how to
19 do storage right, it could help enable, I think,
20 broader support for advancement of renewables. We
21 have a lot of wind resources, and we also are
22 growing solar quickly in Minnesota and as you can

1 see we have projections, depending on who you
2 believe, anywhere from 10 to 30 times growth in
3 our solar deployment just in this coming calendar
4 year, with community solar and with the solar
5 standard.

6 So we are mostly a vertically-integrated
7 regulated utilities, as I said, MISO is going
8 through a lot of change, and it's -- a lot of coal
9 retirements are happening, and so there could be
10 capacity challenges in the near term. And we also
11 have a lot of coops and municipals in our part of
12 the country. So I'm the voice from the Heartland
13 here. So some of the things that we've
14 communicated with MISO or some of the market rules
15 that we would like to see in our region, that make
16 it more difficult to really participate in the
17 wholesale markets and to monetize storage
18 benefits.

19 You can see these; I'll just say
20 quickly, aggregation, that's very difficult to
21 aggregate storage resources, and other DER
22 resources. The minimum megawatt threshold for

1 participation is quite high at 5 megawatts. We'd
2 like to enable storage assets to provide multiple
3 different kinds of value streams, and multiple
4 functions, and not be tied to one particular asset
5 class, because that limits the value that you can
6 get out of different kinds of energy storage. We
7 want to encourage more fast-ramping resources, and
8 develop simplified interconnection.

9 And then, so the last thing I'll do in
10 my quick introduction; is talk about some of the
11 things where we hope to get, and could really
12 benefit from expertise of a lot of the people in
13 this room, as well as at the national level from
14 our federal partners at DOE. We really need help
15 in figuring out how to value energy storage
16 effectively. We need technical assistance to do
17 that well, and to do it in a way that provides
18 trusted and neutral, expertise, to help to educate
19 and inform policymakers and regulators, and energy
20 offices at our state, and in other states about
21 how storage can really benefit the grid.

22 Whether it's the existing resources on

1 the grid, or the new future DERs, and renewables,
2 and other changes we would like to see in our
3 fast-changing electricity system. We need real
4 cost-benefit analyses that help our
5 decision-makers figure out how to get beyond a
6 very narrow view of, here's the upfront cost
7 compared to the -- you know, the least cost
8 alternative. We need to have more nuanced and
9 in-depth analyses of what the overall values and
10 benefits could be for storage, in order to have
11 them face a level playing field and be able to be
12 potentially used as an alternative.

13 And modeling alternatives is another
14 piece of that, so our Public Utilities Commission
15 is just embarking on studying, distribution
16 planning, in addition to our IRP process that
17 we've had for a long time, and we need assistance
18 in modeling. I think there's a lot of
19 participants at the state level that don't really
20 have access to modeling expertise, and I've had
21 some of stakeholders who are utilities, asking for
22 assistance in modeling. Being able to really

1 model what some different approaches are to
2 resource decisions and planning.

3 Again, expert information -- I'm
4 starting to sound like a broken record, so lots of
5 -- We need technical assistance ideas for a grid
6 design, distribution planning, et cetera, and
7 funding. And because we are in a kind of an
8 emerging market and we have those modern
9 electricity prices, we have a lot of opportunities
10 to deploy storage, we have some near-term used
11 cases, that are really positive cash flow, but a
12 lot of them really need some funding to support to
13 demonstrate some of the used cases that are
14 possible. And so we are hoping that there are
15 opportunities there at the federal level. So,
16 I'll stop there, and look forward to a good
17 conversation.

18 CHAIRMAN COWART: Great. So, Mike, do
19 you want to go ahead?

20 MR. TOOMEY: Thank you very much for the
21 opportunity to be here and speak. Michael Toomey
22 with NextEra Energy Resources; we are a daughter

1 company of NextEra Energy based in Juno Beach,
2 Florida. We have a sister company, Florida Power
3 & Light. This is where NextEra Energy Resources
4 operate. You can see we have a very good halo
5 avoiding the State of Florida, so that we don't
6 have any improprieties with trading with our
7 sister company.

8 We are an IPP with over with over 21
9 gigawatts of energy, about 75 percent of that is
10 renewable. We are far in a way the largest wind
11 developer, owner and operator in the United
12 States. We have over 12,000 megawatts in
13 operation. This changes daily but I believe we
14 are also the largest solar, owner, operator in the
15 U.S. as well with a little over 2,000 megawatts.

16 The reason this is important, and the
17 reason I show this map is that we are operating n
18 a majority of the market across the United States.
19 We have a team that's now dedicated to developing
20 energy storage projects and we have a fairly good
21 understanding both of the market as well as the
22 relationships that are required to participate in

1 these markets functionally, and working
2 hand-in-hand with the utilities in those areas.

3 We have 50 megawatts installed right now
4 in PJM, they are all performing in frequency
5 regulation, as well as 44 megawatts of contracted
6 assets in California, Arizona, and the IESO in
7 Ontario, Canada, that's 44 accumulative. Our team
8 is focusing both in-front-of-the-meter
9 applications as well as behind-the-meter, so if
10 there are any questions on that, I will try to
11 address them. I primarily focus on in front of
12 the meter, what we call utility scale applications
13 but I can address a lot of the behind-the-meter
14 questions, hopefully.

15 Discussing what's going well right now
16 in the energy storage market from the viewpoint of
17 the developer, or from myself, Praveen can speak
18 to it as well. First, PJM did a phenomenal job
19 rolling out our market where energy storage could
20 be utilized and can be fairly compensated and also
21 rolled out immediately. Like I said, we have 50
22 megawatts in PJM, operating as of today.

1 Absolutely performing well, and earning a solid
2 revenue.

3 However, it is important to note that
4 this is a merchant revenue stream, so it will be
5 difficult to finance in the future. Next is
6 California, they kind of came at it from a
7 different approach. There's a state mandate in
8 California for 1.3 gigawatts of energy storage by
9 2024 I believe it is. So what they did, as
10 opposed to PJM, saying we want frequency
11 regulation and batteries kind of fill in that
12 role, California took a reverse approach saying,
13 we need to procure batteries, what roles can we
14 apply them to? And with the shutdown of SONGS, in
15 Southern California there was a huge need for
16 capacity, and that's been a major driver for
17 procurement currently in California.

18 SCE, SDGE, and you are looking at
19 primarily capacity application for energy storage,
20 that is defined in California as being a four-hour
21 system, so that's what you see in a lot of
22 contract to day. Unfortunately -- well

1 fortunately for the buyer, unfortunately for the
2 market, everyone is expecting a very similar cost
3 decline as was seen in the solar market a few
4 years ago. So a lot of the contracts that are
5 being awarded today, are for projects expected to
6 be built a few years out.

7 So you are not seeing a lot of the
8 development today. One of the areas where that
9 would not necessarily hold true is in
10 behind-the-meter applications in Southern
11 California, in New York, if rates are high, if
12 demand changes are high, you will see energy
13 storage deployed behind the meter. Some of those
14 contracts can work well where you have a dual role
15 for behind-the-meter projects, performing demand
16 change management for the customer, as well as
17 demand-response type application with the
18 utilities; so there are some dual use in that
19 sense.

20 In terms of what needs to be addressed,
21 I think it was discussed quite a bit yesterday, I
22 think everyone on the panel will agree today, and

1 you will hear it quite a bit. The understanding
2 of the market values of energy storage are very
3 important, currently there is only use cases being
4 contracted with utility. Demand charge management
5 for behind-the-meter applications, is a second
6 used case for energy storage, however, that's
7 essentially a contract with the end customer, not
8 with the utility, so you are only seeing
9 individual applications being used by utilities.

10 I think that a lot of the help that will
11 be beneficial to the utilities would be
12 understanding, or more clearly defining when they
13 need certain applications, a battery that can
14 perform capacity in the afternoon, can absolutely
15 perform frequency regulation in the morning if
16 that's what beneficial to the grid. However,
17 right now the contracts are very limited to
18 performing one function, that's been helpful in
19 getting some of the rollout, but it's also
20 stalling some of the understanding.

21 I know a lot of the times that I meet
22 with utilities, we come in and we show a host of

1 applications that a battery can perform, it kind
2 of sounds like a silver bullet for all of the
3 problems. And as the conversation continues, you
4 start backing away from application and
5 application, till there's just one, that's much
6 easier to wrap your head around. Okay, I
7 understand that, that's where I'll deploy for now,
8 we'll worry about the rest later. So, having an
9 understanding of where we can have dual use,
10 triple use, and more, will be very beneficial.

11 Also important to note is that energy
12 storage is in this grey area, between
13 participating in markets and being a transmission
14 service provider. There are many benefits to the
15 -- for T&D deferral, for example, that energy
16 storage can perform in, and that's not a market.
17 Right now that is service provided by the
18 utilities, there are specific requirements on
19 returns, and all of that involved with it, it's
20 now something that be played in, and that again,
21 as a dual use, a very wonderful benefit of energy
22 storage is the transmission services that

1 provides, that is hard to quantify right now, in
2 terms of benefit, in terms of procurement.

3 So if a utility is looking to procure
4 energy storage, if they have a mandate, for
5 example, if you put it in a load pocket versus
6 outside of the load pocket, in your generation and
7 something like that. You are not necessarily
8 quantifying and valuing the transmission benefits
9 that this system is providing by positioning in a
10 load pocket.

11 Also there are avoided costs with energy
12 storage systems. It can provide tremendous
13 benefits, especially right now in California, we
14 are looking at 50 percent renewables by 2030, and
15 most likely that will come earlier than expected.
16 What you are seeing though, especially with as
17 much solar as coming on in the system. There will
18 be economic curtailment of solar generation.

19 And what that means, as we continue to
20 grow towards 40 percent, is that you'll have to
21 add additional megawatts of solar to reach that 40
22 percent because of all the curtailments that are

1 happening during peak hours. Energy storage can
2 make the deployment of other resources more
3 efficient when you are including renewable energy.

4 The other side of it -- These are
5 benefits, everything I discuss that applies both
6 in front of the meter and behind the meter. The
7 other set of issues are primarily for
8 in-front-of-the-meter applications, which is with
9 respect to siting projects. I've mentioned
10 already that there are some benefits to -- or
11 economic benefits to siting projects near load,
12 but there are, right now, technical issues
13 preventing such deployment, when transmission
14 operators are evaluating any generation asset,
15 they look at the worse-case scenario to assess
16 what upgrades are needed to be performed on the
17 grid for that project to succeed.

18 Unfortunately, for energy storage it is
19 both load and generation, and it is penalized in
20 whichever way is most disadvantageous first
21 location. If a project is sited near load, it is
22 looked at as a load resource during those peak

1 hours, because that is obviously the worse-case
2 scenario. Even though with market factors, that
3 would not be the way an energy storage system
4 would operate.

5 Similarly if you put it near generation,
6 you would be charging ideally let's say in the
7 Mojave Desert where there's plenty of solar
8 generation, and probably up to 1,000 megawatts of
9 economic curtailment, in the coming years. If you
10 put storage there you can absorb that energy
11 discharged later in the day, and provide to the
12 grid, whereas right now, those systems would be
13 looked at extra generation and being a further
14 hindrance to the transmission grid. I think that
15 that covers the issues that we see across the U.S.
16 right now; and happy to answer questions in a
17 while.

18 MR. SHELTON: Okay, thanks. Praveen?

19 MR. KATHPAL: Thank you. So, again, my
20 name is Praveen Kathpal, I'm with AES Energy
21 Storage. We are part of AES, the AES Corporation
22 is a global power company. We have power

1 generation and utility assets all over the world.
2 We operate in 17 countries, so we have experience
3 in the U.S. and in several other markets, and
4 we've been doing energy storage, as I'll show you,
5 in the U.S. and abroad, but broadly our experience
6 is with a wide range of grid technologies.

7 In energy storage we are a developer and
8 a solution provider, so what I'm showing you here,
9 is our fleet of energy storage arrays with is the
10 largest in the world and that includes 116
11 megawatts in operation, 50 megawatts in
12 construction, and 218 megawatts in late-stage
13 development. We started with ancillary services
14 applications in the U.S. and in Chile, we've
15 expanded providing that product line into new
16 geographies, so we are now doing similar
17 applications in the Netherlands, Northern Ireland,
18 Philippines, and a few other places.

19 Domestically we've expanded our offering
20 beyond ancillary services, we are also providing
21 capacity solutions, to utilities in the U.S., the
22 best example of that, is a 100- megawatt project

1 in California, that's going to be built in Long
2 Beach, it will serve Southern California's --
3 Southern California Edison's local capacity needs
4 in the Los Angeles Basin over a 20-year contract.

5 So that really signifies that storage is
6 here at scale, and also that it's a proven
7 alternative for providing flexible capacity that
8 compares well economically against the
9 conventional solution which, in that case would
10 have been to build a new gas-fired peaking plant.
11 That really in the U.S. Is the biggest -- is
12 going to be one of the biggest applications for
13 storage. Some of the models that AES subscribes
14 to, shows a 40,000-megawatt need for new capacity
15 in the U.S. over the next decade, 40,000
16 megawatts.

17 And I think that what we'll get into in
18 the panel conversation is the analysis that DOE
19 can provide to utilities, regulators and other
20 stakeholders can help illustrate that energy
21 storage does provide more benefits than the
22 conventional solution, not only in the capacity

1 arena, but also in the T&D arena. That gets to
2 the issue, building 40,000 megawatts of peak
3 capacity is a big problem that the industry faces.

4 There are a lot of big problems that the
5 industry faces right now and -- Sorry, I'm a slide
6 behind. This is a rendering of the 100-megawatt
7 facility that will be built in Long Beach. So
8 there's a lot big problems that the industry
9 faces. I talked about building peaking plants,
10 but here's also keeping with retirements, we see
11 old steam turbines, we see nuclear plants
12 retiring, we see a variety of causes whether
13 that's one through cooling, air emissions, or just
14 plain being old.

15 So there's a lot of planning issues that
16 come up, whether that's on the generation capacity
17 or the transmission side related to this turnover
18 in our grid, and obviously that ties into the
19 transmission expansion that is needing to be done
20 to support wind and solar facilities, that at
21 large scale, are generally built distant from
22 load, and other grid modernization initiatives that

1 are occurring. As well as, of course the
2 sometimes very acute issues that we face with our
3 gas infrastructure, where the transmission or the
4 storage of gas, the fact of the demand for natural
5 gas, and the demand for electricity are
6 coincident, creates a strain on the gas
7 infrastructure and storage offers a -- on the
8 electrical system offers a way to separate those.

9 So, there's a lot of analysis of these
10 benefits that can be done. DOE is doing some of
11 it, and we think there are some good frameworks
12 out there. We've seen some examples of papers
13 that have come out of the labs that have analyzed
14 the benefits of storage on a system-wide basis.
15 They've taken into account the capacity benefits,
16 but there is not enough of it, and it's not tied
17 in all cases to relevant big problems that the
18 industry faces, some of which I listed on the
19 previous slide. And we can talk more about that
20 in the panel discussion.

21 MR. SHELTON: Last but not least, Doug?

22 MR. DAVIE: Thanks, Chris. Thank you,

1 to the Committee, for inviting me here today. In
2 particular Janice and Merwin Brown, who were key
3 in convincing me this was definitely something to
4 come out to and talk with you folks. Let me just
5 tell you a little bit about Wellhead, what we are
6 doing, and kind of an overview of what we see as
7 issues.

8 The biggest that I see, is that we are
9 having a really hard time, with getting people to
10 fully understand and appreciate the problems in
11 deploying storage and how the rules and
12 regulations are holding things back a little bit.

13 Quickly about Wellhead, independent
14 power producer, we've been in business for over 30
15 years, started back in the QF era, we are
16 California-centric. One of the few IPPs that has
17 not gone through a bankruptcy because we did not
18 go merge it with any of our plants, and have used
19 capital wisely, we have about 350-375 megawatts
20 operating in California, 50 megawatts in New York;
21 have built projects for Public Service New Mexico,
22 San Diego Gas Electric, that went over in Ghana,

1 but we've survived because of how we used
2 technology innovation, and we deployed our
3 capital, and we spend money where think it's the
4 right way to go.

5 And the key that I'll talk about next,
6 is we have the company, Wellhead Power shall --
7 and one another thing, we do have a woman-owned
8 affiliate, that's 100 woman-owned that does the
9 only woman-owned project in California, the Delano
10 Energy Center, and they now have a contract that
11 was acted on, appealed last week, the Stanton
12 Energy Reliability Center, which will be 100
13 megawatt project in the Stanton area, and that
14 project will also include storage, where we have a
15 contract.

16 Real quickly, there's a lot of details
17 here, I'm not going to go about digging into it
18 too much, but this is an overview of our EGT
19 technology. We have a patent pending, we have
20 trademark on name, we are working very closely
21 with GE, but basically we are looking at storage,
22 in this case has an enabler, where we are going to

1 be able to integrate storage with existing GE
2 LM6000 technologies, and in effect create a zero
3 -- convert a machine that's typically 5 or 10
4 percent of the time for peak needs, into something
5 that can used 100 percent of the time providing
6 ancillary services.

7 Think of it as your hybrid car, when you
8 step on the accelerator it goes, you don't if it's
9 the battery or the gas engine that's making you
10 go, but you know something inside is controlling
11 it, and it's making the right decision. Our
12 hybrid is an integrated resource in the same way.
13 You've got GE LM6000, some battery storage, and a
14 control system. And the key things about it are,
15 you can have 50 megawatts of ancillary services,
16 with zero Pmin, zero gas burn.

17 You've got fidelity of your operating
18 range. You've got accurate regulation, you know,
19 you've got frequency response, voltage response,
20 primary frequency, the system is managed
21 internally, it is -- the state of charge is
22 managed internally, so we don't have to worry

1 about dealing with state of charge issues, with
2 the ISOs and, you know, there is just the number
3 of very significant benefits to it. Conversations
4 with utilities, we've talked with PJM, Cal ISO, a
5 lot of organizations are very interested in it,
6 but we are running into some issues, but it's a
7 technology where we are using storage as a huge
8 enabler, we've been working on this for a couple
9 of years, and want to get into a little bit of the
10 problems.

11 Before I do that, real quickly, the
12 business case for it, particularly in California,
13 you know, there is a great pair of benefits
14 obviously from the ancillary services, both
15 serving entities, a key thing that is not talked
16 about that much, that as a result of a result of
17 storage and the capabilities it allows a
18 reoptimization of the entire system, and the
19 result is, you are going to be using zero GHG
20 capability to provide certain ancillary services
21 rather than reserving the capability of more
22 efficient combined cycles.

1 So you can have a much lower -- you can
2 reduce the overall market price and cost of
3 producing power, and so there will be some
4 significant benefits to consumers and load-
5 serving entities because of market implications,
6 with the reoptimization. That doesn't go into the
7 direct GHG benefits, as well as another very
8 important thing that I have a slide that will it
9 real apparent, are the implications this will have
10 on the operating costs to combined cycle as well
11 as peaking plants in terms of what they have to do
12 in terms of following loads, starting, stopping,
13 and cycling costs.

14 And those are becoming more significant
15 on peakers in California, and the owners are
16 peakers, and the utilities were theirs, a lot of
17 people are complaining that they are getting the
18 devil beat out of them, because with renewable
19 integration they are operating in a very different
20 mode, and they are just doing a lot of cycling,
21 which becomes costly to thermo plants.

22 Some key observations about where we

1 are; is that one, we have seen in California a
2 denial of how significant a problem it is, and how
3 soon it is coming. We are starting to get over
4 that right now, but there is still an issue, of a
5 lot of people thinking there's time to wait, but
6 in California we have not seen it. You know, we
7 are seeing over-generation in thousands of
8 megawatts, it's very routine this spring, and the
9 Cal ISO was now onboard, that we are seeing the
10 problem several years earlier than they were
11 previously expecting.

12 And I would certainly agree with what
13 Mike said earlier, we are well on the road to
14 being 50 percent well before 2030, in fact, we
15 think we are going to be at 40 percent by 2020.
16 The key problems we are seeing is dealing with the
17 regulators and the agencies of Cal ISO utilities,
18 one, the analytics, in terms of valuing, it's not
19 easily done. There is, you know -- You are talking
20 about reliability services totally tearing apart
21 all of the kinds of services that can be done, and
22 provided by storage, and how do you value those

1 you have to go through stakeholders processes that
2 are very long, and you typically end up with
3 mainstream solutions that are not necessarily
4 friendly and open ideas, and new ways of doing
5 things, even though you can meet the performance
6 requirements and enhance the objectives, you still
7 have issues in terms of, did the rules work?

8 Interconnection, as Mike indicated, is
9 an issue, however, we have been able to work
10 through and found ways dealing with the utilities
11 and with the Cal ISO, to get around most of the
12 problems, and they understand where they are,
13 causing those problems, and they are definitely
14 working to help with that. I mean a real simple
15 example that Cal ISO through their UConn was not
16 able to detect a storage unit that was sitting was
17 available.

18 It's like sitting in the driveway with
19 your hybrid, you've hit the start button, the
20 lights were all on, but you haven't started to
21 move. They couldn't detect -- they didn't have a
22 light that was on, as you have in the dashboard of

1 your car that says you are ready to go, that
2 hasn't been corrected.

3 I do have one additional slide I do want
4 to hit, and this gets to the comment. This has to
5 do with something we worked on, and this is the
6 part of what storage that gets to the valuation,
7 what we are really trying to do in California as a
8 result of renewable integration. And what we have
9 here is a graph that shows, from a modeling
10 standpoint, the difference between the day ahead
11 forecast, of loads, and what is really happening
12 in the five-minute loads, and so you are seeing --

13 MR. SHELTON: Doug, there is a laser
14 pointer there -- if it's going to work but -- I
15 guess not.

16 SPEAKER: It's the red button.

17 MR. SHELTON: The red button? Yes.
18 There you go.

19 MR. DAVIE: So, what you are seeing is
20 from hour to hour, you've had changes and you are
21 moving at short distance maybe from one point
22 here, to another point, but within that hour, you

1 are jumping all over the place in terms of
2 volatility. Well, that's the load that has to be
3 followed by some sort of a generated resource;
4 this is volatility that's a result of renewables.
5 It's a problem with excess of riches.

6 The blue is showing where there is
7 over-generation occurring, but the purple line is
8 showing the way you are having to follow with some
9 sort of load-following unit, storage can do this
10 very easily, very quickly, and dramatically reduce
11 the wear and tear that's otherwise going to be
12 occurring to your thermal units.

13 It's not something that's, you know,
14 really valued or recognized, but it's a reality
15 and if you talk to the owners of the gas assets,
16 they'll say, there's a lot of proof to that. And
17 so the storage can not only help with reduction in
18 the amount of over-generation, but it can also
19 have a lot of benefits and wear and tear, and the
20 result of the EGT being part of the fleet, is that
21 you reduce the Pmin burden on the system which has
22 an overall reduction in over-generation during

1 times of peak generation of solar during the day.
2 I'm going to stop at that point, and will let go
3 to questions, and then go from there.

4 MR. SHELTON: Well, thank you, all, for
5 the overviews, that was really helpful. We are
6 going to go ahead and get into some questions, and
7 some of these have been covered in different
8 levels by each panelist, so we'll hit them, and
9 give everybody a chance to chime in. So, I think
10 we've highlighted, there is, that were going well.
11 I've heard that from a few of you. So, are there
12 any other areas that you've seen in the industry
13 that maybe -- that didn't relate directly to the
14 work that you all are doing? But that you are
15 aware of, or that you didn't comment on. I just
16 want to get a chance to focus on the positive here
17 again. What is going well out there? Maybe,
18 Mike, do you want to chime in on the behind the
19 meter, perhaps?

20 MR. TOOMEY: I'll touch on a little bit
21 about behind the meter, but just in general what
22 we are seeing in California that is definitely a

1 positive, and Doug tapped on it a little bit, is
2 the financeability of these projects. They are
3 long-term contracts with the credit-worthy
4 off-taker which makes them financeable, and allows
5 us to continue to deploy capital and build new
6 projects rapidly. That's something that's not
7 necessarily the case in PJM with the frequency
8 regulation market. They are merchant prices that
9 you are taking on, so it's hard to finance those
10 revenue streams.

11 Similarly, for behind the meter, you are
12 contracting a portion of your system with the
13 utility ideally, the other revenue stream is
14 demand-charge management, which is with the
15 customer, generally speaking, out of creditworthy
16 off-taker or counterparty, as well as not a
17 sustainable revenue stream. You don't have as
18 much vision in terms of the future value of that
19 product. Now, it is a valuable product, and
20 that's important to note, but in terms of
21 financing for deployment, that is a difficulty.

22 MR. SHELTON: Why do you think that --

1 What do you think led to the blossoming of the
2 storage in PJM, as a follow up? And maybe
3 Praveen, you have thoughts as well.

4 MR. KATHPAL: Sure. I think in PJM, and
5 I think this generally applies for the organized
6 markets, it was a clarity of needs and
7 requirements. And that's a general principle that
8 goes well beyond storage. Is that if the needs
9 are defined and the requirements are defined, then
10 storage or any other technology could come in and
11 serve those needs. And the markets have the
12 additional benefit of the value being illuminated
13 --

14 MR. SHELTON: So the, I guess California
15 and PJM have that in common, right? Where the
16 market has identified needs, clearly that are
17 technology-independent needs?

18 MR. KATHPAL: Right, in California, I
19 think the reason Mike brought this up, the reason
20 you've seen a number of contracts with storage
21 happen, is because there is a capacity need,
22 right. At least a couple of the utilities had a

1 need in Southern California to meet peak demand,
2 but also really importantly is there was a
3 requirement that was defined which is to serve for
4 four hours of duration.

5 That certainty doesn't exist in a lot of
6 places, it's something that certainly the regions
7 that have capacity markets could address, and I
8 think in one of the current proceedings at FERC
9 we'll see a move towards that. However, they will
10 still have the challenge that Mike just raised, of
11 not having long-term financeable revenue streams.

12 The bigger issue I think that we see is
13 those needs are really murky outside of the market
14 areas. The requirements are really murky.
15 There's clearly a need to provide peaking
16 capacity. I threw out that 40,000 megawatt figure
17 over the next decade, so there's clearly a need
18 there, but in a lot of cases, storage hasn't been
19 identified as the solution, and that won't really
20 happen without a clear definition of the
21 requirements to provide that service.

22 MR. SHELTON: So, Ellen, this is a

1 follow up, it wasn't one of the specific
2 questions, but what specifically are you doing as
3 part of the Minnesota energy storage work? Are
4 you doing -- Are you learning from this, are there
5 specific things, where are you focused on
6 providing this clarity? Have these topics come
7 up?

8 MS. ANDERSON: Sure. A lot of these
9 topics have come up, and we are trying to put
10 together kind of platforms of basic -- you know,
11 sort of grounding in these -- in the key issues,
12 what you need to know about storage in these
13 different topic areas, when it comes to regional
14 markets, when it comes to -- you know,
15 participating in those, and when it comes to the
16 state level, where does it fit? So we are trying
17 to provide neutral information that can help
18 decision-makers.

19 And we are just getting started, and we,
20 going back to sort of the good news, is there's a
21 huge appetite for that, and there's a huge
22 interest and there's a huge interest in doing

1 projects around the state. So, for example, a lot
2 of solar developers that have been doing solar for
3 whether a long time or a short time, are trying to
4 add storage into their projects, and a lot of
5 those were behind the meter, and trying to figure
6 out, kind of those questions, that Mike said,
7 well, how do you play in the wholesale market if
8 you are doing a behind-the-meter project? Can
9 you? And how would you set that up? And it's
10 pretty complicated for a small solar installer.

11 Can I mention -- I want to mention the
12 Community Storage Initiative real briefly as well,
13 because we were just talking about that
14 beforehand. And we are partnering with NRECA who
15 started this with Great River Energy, one of our
16 G&Ts that has a bunch of co-op members in
17 Minnesota, and they started with electric hot
18 water heaters, and they controlled Great River
19 Energy Controls, and I think it's 100,000 electric
20 hot water heaters, and that's, you know, the load
21 shifting, it's a form of storage and they are
22 storing it as a thermal -- in a thermal form, but

1 they control a gigawatt of electricity that they
2 can shift away from peak to off-peak hours.

3 So they are starting this community
4 storage initiative which is very focused on kind
5 of how to make storage accessible to the people in
6 communities, people at municipalities, at colleges
7 and businesses who want to be able to figure out
8 the benefits. How does this -- How can I play in
9 this -- How can I have a role in storage? How can
10 I do it at a small local scale, at a community
11 scale? And I know we have a lot of interest in
12 that, as well as a lot of interest from utility
13 companies who want to figure out how to do this,
14 and want to do big projects.

15 One more thing that I wanted to mention,
16 that it's sort of the policy, political side, that
17 I think is a really interesting insight that I
18 heard, and learned over the last year of working
19 on this, that energy storage is kind of
20 bipartisan. In an energy world that is anything
21 but, there is the possibility of having a
22 conversation across political spectrums, because

1 it's got that kind of gee-whiz factor that a lot
2 of people are interested in. And you know, it
3 doesn't mean that you are going to agree on all
4 the policy roads to get there, but it's an entry
5 point that allows for a really constructive
6 conversation about the future, and how do we
7 modernize our energy system.

8 MR. SHELTON: So, yes, go ahead. I was
9 just going to come to you right away.

10 MR. DAVIE: I wanted to talk a little
11 bit of the good news here, because I've talked
12 about problems, but I do want to add, I think,
13 some good-news perspective on it, is that one,
14 last Thursday the California Public Utilities
15 Commission issued a resolution directing Edison to
16 go out and procure a significant amount of
17 storage, as much as 600 or 700 megawatts, with the
18 requirement that it be online by the end of the
19 year. So, you are going to see a lot happening in
20 California very quickly.

21 We are looking at, you know, definitely
22 there's going to be hundreds of megawatts of

1 additional capability proposed, at a similar look
2 at the numbers in terms of whether it helps with
3 the Aliso Canyon problem. And so we are going to
4 see some things there. I would say, independent
5 of that, with one of our EGTs, and actually just
6 the one thing I didn't mention is 10 megawatts,
7 5-megawatt hours, so it doesn't require the
8 significant investment in huge capital for storage
9 to enable a 50-megawatt project, and provide 50
10 megawatts of ancillary zero GHG capabilities.

11 So, we are going at it in a way that
12 doesn't require, as big of initial capital
13 expense, and we are actually, prior to the Aliso
14 Canyon activities, we were in discussions the
15 utility and have plans to have of our projects
16 online before the end of the year, and that is one
17 of the reasons why I've had a lot of
18 down-in-the-weeds discussions with the Cal ISO and
19 the utility problems.

20 But clearly they know how to value --
21 this utility knows how to value and say, this is
22 something that's good, they were prepared to go

1 forward without an RFO, just because it was a net
2 benefits, to the rate payers of putting this
3 project in place. So, I think there is some good
4 news along that line that I didn't touch on
5 before.

6 MR. SHELTON: So, following this theme
7 of providing -- of the frameworks that are
8 working, perhaps, and maybe how to replicate
9 those, or how to inform similar systems across the
10 ecosystem in other states. Are there specific
11 areas that you think DOE could be helpful in
12 informing frameworks like the ones that -- you
13 know, some of the things that we are learning from
14 California, or PJM, or other states? Are there
15 you know -- What could DOE do to make a difference
16 there, in your view?

17 MR. KATHPAL: Sure, I'll start. So, I
18 think capacity planning is a great example, and
19 this is something that happens in a lot of states,
20 and in all the states where the utilities have a
21 supply obligation. Generally these are places
22 where integrated resource planning occurs, and

1 these planning decisions are not taken lightly,
2 they are often multi-stakeholder proceedings in
3 front of the Utility Commission, they have
4 participation from consumer advocates, from
5 environmental groups, other NGOs, and with
6 regulatory staff.

7 So, what's happening in that arena right
8 now is incomplete. And a lot of it comes from a
9 basic absence of the education of the stakeholders
10 and the analysis to support the benefits of
11 storage. A lot of stakeholders don't recognize
12 that storage large-scale peaking solution. That
13 the same time their utilities and their states are
14 considering peaking plants in the 50 to
15 500-megawatt range, that storage can directly
16 substitute for that in a way that will be lower
17 cost to the customers in those states.

18 It will improve reliability and it will
19 lower emissions. So what can DOE do about this?
20 It's the analysis. The Energy Storage Association
21 did a survey a couple years ago, of regulators and
22 of legislators, in the states, and it was

1 conclusive that DOE and the national labs are a
2 trusted, independent source of information. But
3 that information flow isn't occurring. The type
4 of analysis -- What am I talking about when I say,
5 analysis, is in any of these planning scenarios,
6 and this could be done on a regional basis, for
7 many utilities and balancing authorities were
8 considered, a regional analysis in which someone
9 could run a production cost model with storage,
10 compared to one in which a peaking plant is built.

11 To show the operating cost savings,
12 that's fuel, O&M, avoided starts, lower emissions,
13 show the capacity of benefits and compare that to
14 building a new peaking plant. The same concept
15 can be applied in the transmission arena, but the
16 cost of building a new transmission line. What's
17 important here is the focus on the benefits,
18 because that's what shows the reduction in cost to
19 customers that we think should be motivating
20 policy in the states, and I focus on the benefit
21 not cost because we've seen routinely when
22 researchers, when labs try to publish a cost

1 benefit analysis, or a cost guideline, and a
2 whitepaper or a handbook, it's completely off,
3 versus the cost of storage on the market, often by
4 50 percent or more; so there are some unflattering
5 --

6 MR. SHELTON: It's off in that.

7 MR. KATHPAL: It's high, because the
8 information is usually flowing from dated
9 estimates, or subsidized demonstrating projects,
10 not real procurement data in the market. So I
11 would advise the labs to try to stay out of the
12 cost arena, and focus on the benefits. When
13 procurement happens the market will show you what
14 the costs are.

15 MR. SHELTON: Does anybody else have
16 more thoughts on this?

17 MS. ANDERSON: Can I jump in? And just
18 echo, yes, yes and yes. That would be so
19 incredibly valuable. I mean we've looked at
20 Sandia Lab's reports, and other reports, like
21 Rocky Mountain Institute, et cetera, but the labs,
22 talking about all the use cases for storage, it's

1 really useful information, but to be very honest,
2 you know, in the Midwest if you say, well they did
3 this in California and it worked great, it's not
4 going to persuade a lot of decision-makers, number
5 one, and our Commissioners, you know, they need a
6 record that they can make decisions on.

7 They need information tailored to our
8 conditions. So, we need that sort of analysis,
9 very, very badly, but we need it to be
10 regionally-specific, and also forward-looking. I
11 mean, what if we increased our RES to 40 percent
12 or 50 percent what would that look like? How
13 would that change the factors? What if
14 electricity prices went up this much? Or storage
15 prices went down this much?

16 MR. SHELTON: So, Ellen, it sounds like
17 you are saying, doing these regional studies,
18 would be valuable, but it sounds like you are
19 saying, yeah, that would be helpful, but you
20 probably need -- Do you need tools then, that can
21 be used? Because I don't know if DOE is going to
22 do a study just on Minnesota, do you know what I

1 mean?

2 MS. ANDERSON: Come and do modeling for
3 us, yes.

4 MR. SHELTON: So how does that translate
5 to you? Is it tools? Is it frameworks? Are
6 there -- I'm just trying to, you know, pull more
7 out of this.

8 MS. ANDERSON: Yes. I know. I don't
9 exactly know how to deliver them, and what DOE can
10 deliver because, yeah, we'd love them to come do a
11 custom project in Minnesota, and I don't know if
12 that's going to happen. But to do some -- help us
13 learn from the knowledge base that exists around
14 the country about what kind of analytical tools
15 can be applied to these questions. And also
16 sharing -- you know, sharing of research that's
17 already been done, because in a sort of
18 translational, so that policymakers and regulators
19 can really understand the knowledge that does
20 exist, and kind of the cases that have been proven
21 out. Because there's a lot of information out
22 there, but it's not always presented. Just come

1 and talk to us, and share knowledge and
2 information.

3 MR. DAVIE: And one of the things that I
4 think is most important, is getting the actual
5 projects on the ground, because utility operators,
6 regulators, and politicians are, for good reason,
7 very conservative. When the lights go out,
8 executives get fired, politicians get recalled,
9 and so, it's one of the reasons we have moved
10 forward to find a way to get a project that we are
11 talking about, in the field by the end of this
12 year, that's been something that we've, put out as
13 a corporate objective earlier -- at the beginning
14 of the year.

15 But that's a way you are going to get
16 out and demonstrate to the utility operators, that
17 in CAISO that this does work. They can use it,
18 they can rely on it, and they will start seeing
19 the benefits themselves, and so real projects are
20 in fact, critical, to moving forward. One of the
21 biggest, you know, areas we run into is, wow, how
22 do we know it's going to work. How do we know

1 it's going to -- What is synthetic inertia? How
2 do we know this allows us to decommit some
3 resources in the L.A. Basin, and still have
4 reliability?

5 There's question about -- There's a
6 show-me attitude, rightly so, and so getting real
7 projects is critical. And once you start doing
8 that, to Ellen's point, I think that is a
9 utilities system operation that how electric
10 system is operating, and how electricity flows,
11 and resources respond, you know, they respond the
12 same in Minnesota as they do in California, you've
13 just got a different resource mix, that's driving
14 that response. And so getting some real projects
15 out is critically important, and in fact I think
16 that's why the PUC's decision is going to very
17 valuable and important to the storage industry
18 because that order was procure storage resources.
19 So, you are going to see him in the ground and
20 operating by the end of the year.

21 MR. SHELTON: I'm going ask a follow up,
22 and then I'm going to go to Mike, because Mike

1 has, again, something he wants to say. Does that
2 speak to a survey of the stuff that's already out
3 there, because there's a fair number of projects,
4 just on the panel here, there are a lot of
5 projects, right? And there a lot more than are
6 represented here, would that be valuable, a survey
7 of what's going on out there? I mean, rather than
8 focusing forward just on demonstrations, so that's
9 a follow up for anyone.

10 And then what about the EIA, is there
11 anything that the EIA should be doing with regard
12 to storage? I'm just following up on that line of
13 thought.

14 MR. KATHPAL: Sure, so I definitely want
15 to continue on that vein, Chris, to clarify what
16 Doug said. I hope no one interpreted that as a
17 need for more demonstration projects, we have to
18 get passed this it hasn't been done here,
19 mentality. The timeline I showed, the gap in
20 studies that DOE has done that I think are good
21 analysis has been replaced. That void was where a
22 lot of demonstration projects are being done. For

1 a fraction of the cost of one of those
2 demonstrations, you can get all the relevant
3 stakeholders on a plane and take them to go see
4 one of these things that have been running for
5 years, and years and years.

6 There's hundreds of megawatts of utility
7 scale storage, running in this country right now.
8 So the live procurement is a way to do it, get
9 more projects online now, taking people to these
10 project is a way to educate them, paired with the
11 analysis of the benefit, it's not about doing more
12 demonstration, because what I think is an
13 assumption a lot of us have been speaking from,
14 that hasn't been stated here is, this is not a
15 technology issue, it's a market adaption issue.

16 The technologies are mature, so picking
17 a state and throwing \$5 million at, you know,
18 betting on whether the neighborhood startup can
19 build a storage project in the next three years, I
20 think actually has a counter effect of freezing
21 action by stakeholders in that state until that
22 task is complete. So, I would focus more on

1 meeting real needs and solving the big problems
2 that we have.

3 MR. SHELTON: So, Mike, did you want to
4 chime in previously? So, sorry about interrupting
5 you --

6 MR. TOOMEY: No worries. Praveen just
7 mentioned right at the end, and that's what I want
8 to highlight, is that it's more about helping
9 utilities understand their needs and what those
10 costs -- what are the options for addressing those
11 needs. That's where energy storage comes in -- as
12 Praveen said, it's not a technology issue, we can
13 come in and help solve whatever problem is going
14 on in terms of energy storage, but it's about
15 understanding what the issues, are.

16 For example, let's say in the middle of
17 Arizona, they are reaching their peak capacity,
18 they need to install a peaker. Well, if an
19 analysis is done, that peaker might get turned on,
20 10 times a year for two hours. Do you need to
21 build a huge peaker system that's only going to be
22 performing for 20 hours a year, and producing

1 greenhouse gases and all that goes with that.
2 When you could use energy storage, the same
3 two-hour system and have it operating throughout
4 the year, there's no additional cost to operating
5 that throughout the year, but an important part of
6 that is working with the reliability operators in
7 those areas to get comfortable with that idea.

8 Currently it's really nice when you do
9 have a new peak capacity to build and peaker and
10 you are set for a very long time, and it can run
11 for 100 hours if you needed to in some type of
12 emergency. For reliability operator to get
13 comfortable with, we've done the analysis, we know
14 it only need to be turned on two hours a year, is
15 that going to be sufficient. And there's a gap
16 there with addressing for some of these functions,
17 the comfort of the reliability operator, and the
18 role of the utility, and ensuring that they do
19 appreciate, an energy storage system will meet
20 their needs, so that's definitely an area where
21 the DOE can help.

22 MR. SHELTON: So, I have one -- I'm

1 actually going to jump to technology, because
2 DOE's mission has four pillars to it, and two of
3 them are really highly relevant to the energy
4 storage discussion. One of them is to catalyze
5 the energy transition, to paraphrase, and so
6 that's what we've been talking about. It's that
7 catalyzing role that DOE can play in moving
8 through technology innovations, we've seen them do
9 it with renewables. It's been incredible, the
10 support and the outcome that we've seen.

11 And I think in the storage area, that a
12 lot of people are hopeful to see the same type of
13 catalyzing effects continue, which have already
14 been started under the storage programs that DOE
15 already has. So that's the discussion that we
16 just had, so just so that you know we actually --
17 I'm intentionally focusing on these two pillars.

18 The other pillar is stated as
19 maintaining a vibrant U.S. effort in innovation --
20 Maintaining a vibrant U.S. effort in science and
21 engineering as a cornerstone of our economic
22 prosperity, with clear leadership in strategic

1 areas. So I wanted to at least have the panel
2 chime in on, what we believe in, and are focused
3 on the panel, the idea is that the catalyzing role
4 is critical and it needs to be enhanced, it sounds
5 like from the discussion. What do you think about
6 this other -- science and technology role and how
7 it applies to storage and the promise of storage,
8 and you all have outlined is tremendous? So
9 clearly, more work in technology seems to be
10 merited. So, can you each chime in? I can start
11 with Ellen, and we just go down the line?

12 MS. ANDERSON: Sure. So I asked some of
13 our research scientists that question before I
14 came here, and said, what would you say? And they
15 all said, well, I talked to like four of our
16 leading researchers at the University, on storage
17 and renewable energy, and they said, remember it's
18 not just about electricity. So, thermal storage
19 is important. We have a solar thermal lab that's
20 doing a lot of innovative work. And other forms
21 of storage besides battery.

22 So that was part of their message, that

1 there's a broad array of different technology
2 types that are high potential, and that we don't
3 want to just get -- narrow things down too much,
4 and then also a request for supporting
5 commercialization, and supporting pure research
6 too. So, trying to help some of those lab tests
7 when ideas get to market, and I guess the other
8 piece that I have to say, and maybe it's not
9 answering your question, but I have to respond a
10 little bit to Praveen, because we, you know, we
11 wanted to be a laboratory to try out one of the
12 new flow battery technologies that was developed
13 by a national lab.

14 I think it's similar to what Avista is
15 doing, that we heard about yesterday. We were
16 trying to get some funding, so that we can
17 demonstrate that, and so I want to push back and
18 say, in a state like ours, in a market like ours,
19 we are not seeing a lot of activity from the
20 bigger companies because we are not quite there
21 yet. And so we need that -- We have that chicken
22 and egg problem, and we need to gain experience.

1 Our utilities need to learn how to use these
2 things, and how to actually operate them in
3 conjunction with wholesale and local markets, and
4 maintain reliability.

5 And Commissions need to see that before
6 they are going to say, go ahead, and approve cost
7 recovery. So we have some of those problems that
8 -- otherwise we can just and wait until you come,
9 and say, great, we are ready, we are ready, but we
10 need to jumpstart the market by doing some local
11 work, and it needs to be at scale. And it would
12 be great if we can use some of those innovative
13 new, new technologies that are being developed at
14 the labs, and trying to demonstrate them in a
15 place that, for example, has, you know, the micro
16 grid that we wanted to test this on in Western
17 Minnesota, has a mixture of bio energy, solar and
18 wind, because we have all of those three resources
19 kind of balanced in terms of the resource
20 potential that we have in our neck of the woods.
21 And we have extreme climate. And so we have some
22 other unique characteristics that we could test

1 with some of this technology. So, I guess that's
2 my message, yes.

3 MR. SHELTON: Thanks. Mike?

4 MR. TOOMEY: I'm going to bridge the gap
5 of those two comments, and say that it is very
6 helpful both in the advancements in the industry,
7 as well as for the off-takers. When the needs are
8 defined in very generic terms, not to say I want
9 batteries in my area. It's, I want to provide
10 capacity in my area. I want to provide frequency
11 regulation. I want to perform some service, if
12 those services are defined, to allow anyone to
13 compete energy storage will come in as well, say
14 we will meet those needs, maybe you don't -- If
15 you have a need clearly defined, someone like
16 Praveen can come in and say, well, I'm doing that
17 in three other locations.

18 There's a little bit of trust that can
19 be brought in with an IPP. When they come in with
20 an energy storage solution, if it's to meet those
21 specific needs then you can point to how you are
22 doing it, but if it's just a goal of saying, I

1 want energy storage for the sake of energy storage
2 that's where you get into this very muddy and
3 where having test facilities is very important.

4 MR. SHELTON: Yes. And I think I will
5 violate my panel, house role here, and add, if you
6 work in the early stage, you are bound to have
7 issues, right; and those -- you don't want those
8 to inadvertently inform policy. You don't want a
9 technology misstep which is normal in early stage
10 stuff, to hurt a broader policy potential that you
11 can have. So you want more established
12 technologies when you are focused on policy.
13 That's, I think, where maybe Praveen's comments
14 were coming from; so, to try to further bridge the
15 gap.

16 So, any technology areas, Mike? I mean,
17 I know we want to move on and get to the broader
18 EAC, to certain questions, but go ahead. Mike,
19 no. You don't have any? Praveen?

20 MR. KATHPAL: I think as to the
21 technology research agenda, what I think would be
22 very interesting and where DOE could play a role,

1 is let's fast-forward 20 years, we have all these
2 resources of today that are retired, all these
3 renewables have been built, all the storages out
4 there, what does that world look like, and I'm
5 talking about down to issues of control schemes
6 and transactions, right? How does that affect our
7 current idea of interconnection studies, or
8 reliability or flexibility, or even of wholesale
9 markets? What are all those implications on the
10 infrastructure and the institutions that we know
11 today, of a future that we know is coming?

12 And then reverse that and say, okay,
13 well, let's look at the decisions we are making
14 today. Are they forward compatible with that
15 future? Are we committing 20, 30-year investment
16 to assets that will be stranded? Or, are there
17 alternative assets and technologies we can build
18 today that are more compatible with the future we
19 know is coming?

20 MR. DAVIE: A couple of comments. One
21 on the technology side of it, I mean, absolutely
22 there are things that can and need to be done in

1 terms of promoting more technology and get to the
2 lower costs and allow that to happen. But the key
3 thing on technology, in the storage technologies
4 in particular and what we went through, in terms
5 of what of what our EGT says, is one option we are
6 looking at, just other bulk storage options.

7 But purpose-built, and the battery we've
8 gone with, in our situations, the power battery,
9 it is very specific, our requirements of what that
10 battery had to do, its capabilities, we were very
11 clear. And so in working with our supplier GE,
12 made it very clear, here's what's -- got to do.
13 And so there's purpose to what's happening and we
14 thought about that in terms of what we wanted
15 immediately and it wasn't for storage for storage,
16 it was storage because this is what we are going
17 to enable.

18 And the most important thing we are
19 going to do is getting the feel so that the
20 utility and the ISO and others can see? Yes. It
21 is in fact doing what we want the system to look
22 like, and it's being done in a way that we believe

1 it's a no-regrets decision; it's absolutely part
2 of the long-term future. So that's really
3 important. From a policy standpoint, I think it's
4 really important to be promoting the new
5 technologies in helping move things along,
6 ensuring that markets are addressing the issues.

7 As an example, resource adequacy, for
8 full delivery capability under the system, is that
9 really needed for every storage resource that's
10 added, if you've got a system that's completely
11 saturated with RA, you really need to be procuring
12 storage to add RA when you've already surplus at
13 this time. If you say, ah, well, I'll start with
14 something else, I'll add to it. So, policy needs
15 to look at, as I think as Praveen said, look at
16 where you need to be in the future, what are the
17 decisions you make today and how do they fit into
18 the future 10, 20, 30 years from now.

19 MR. SHELTON: Okay. Great. Well, not a
20 lot of technology items that came out of that.
21 There was the case where I asked the question and
22 got a different answer. So, clearly, I expected

1 actually for us to hear more and maybe we will as
2 we get questions. So, I think, do we have about
3 25 minutes left, 20 minutes? Yeah?

4 CHAIRMAN COWART: We'll see how it goes.
5 At least 20.

6 MR. SHELTON: At least 20 minutes.
7 Okay, good.

8 CHAIRMAN COWART: Alright if we open it
9 up?

10 MR. SHELTON: You have the floor.

11 CHAIRMAN COWART: Alright. Well, I've
12 seen some -- some cards have been up for a good
13 while, and I'll -- You are pointing to Heather.
14 Heather has been up for a while. Let's go.

15 MS. SANDERS: Okay. Thanks. Great
16 panel. I'm very excited about energy storage as
17 you all know. In the development of the
18 California Energy Storage Roadmap, what was it,
19 two years ago now, and that thing is still driving
20 policy. So I'm very excited about this. And one
21 of the things I really reacted to, was cost
22 determined through procurement, and we really

1 agree that this is important because as the
2 technology matures, costs come down, and we can't
3 be sure of what that is, and so what I want to
4 emphasize here is that it has to be in all cases.

5 In research it's important but also in
6 -- these are void of cost models, so one of the
7 biggest concerns we have is a requirements to put
8 out a cost bogey, so that the market then doesn't
9 do its job in procurement to give you the cheapest
10 solution. So I wanted to add that to the
11 conversation, because, yes, in research it may
12 mislead to the capturing of what the true benefits
13 could be, but at the same time, we may
14 artificially establish a bogey for procurement of
15 these things, that we don't want to do. So I just
16 need us to think about both sides.

17 The question I have is, you talked
18 about, you know, needing to go to the utility to
19 understand their needs and their issues and, you
20 know, I think this is an area that DOE can help,
21 and we really recognize that in California in
22 terms of planning, you can't just plan for peak

1 and deterministic. I think we all know this. And
2 then, helping us as the utilities get through
3 these tools, and one of the areas, we've been
4 looking at and can help with is there's the notion
5 of deferral framework.

6 When you do a distribution system plan,
7 you come out with hundreds and hundreds and
8 hundreds of projects. Ours is almost 1,000 pages
9 long for our system. And so we need a way to
10 filter through that and say, okay, you know, these
11 types of projects can be deferred with a portfolio
12 distributed energy resources, whether it's storage
13 and a combination with energy efficiency, demand
14 response, but we need a way to do that. We are
15 kind of stumbling through it right now in
16 California as we look to the attributes, but what
17 we really need is not to understand our needs,
18 what we really need is not necessarily that it
19 will work, but how it will work.

20 So when you start to apply these
21 solutions, and you know, in regulatory it's really
22 easy to say, oh, just take up a whole bunch of

1 smart inverters and they'll provide VARs on as
2 well. But then the flip side of that, there's no
3 discussion of, you need sensing, you need control,
4 you need communications, you need coordination for
5 protection, you need coordination with the
6 wholesale market, so we need help, and this is
7 another area. We need help to sort through how
8 this all works.

9 One of the things that's challenging
10 about the stack benefits model is metering. So,
11 if you are going to provide wholesale, you know,
12 regulation energy, you are going to provide a
13 utility distribution deferral, and you are going
14 to do demand side management. How do you meter
15 that? How do you deal with it in the times the
16 way the market structures are?

17 So, yes, needs are important. Help us
18 understand, yeah, maybe it's, you know, five days.
19 So again, it's about availability, durability,
20 dependability, flexibility, and affordability.
21 So, I think this is another thing, you know, that
22 I think I keep every time I go into a Subcommittee

1 meeting I have to say this. I think one thing
2 that's really important for us, is to understand
3 this equivalence. If we don't build the
4 substation, and we defer it with DER, what's that
5 equivalent?

6 A substation is here, it works, we know
7 what it does, it's available. It's dependable.
8 We know what it does. We know how it does it. Do
9 the DERs do the same thing, or more? Are they
10 durable? Are they going to be there forever?
11 What's the contract term? And if they go away,
12 what happens? And then the flexible, if we say
13 five days, we don't know which five days. If we
14 say five hours, we don't know which five hours.
15 So, do they have the flexibility?

16 And finally, the affordability; and this
17 is, again, timed up to that procurement emphasis,
18 is let the market set the price. Don't do it at
19 an avoided cost, at what that substation would
20 cost, because it's really, really hard to measure
21 what you don't build. And so I think those are,
22 you know, two areas where the DOE could really

1 help us, as utilities figure out how to make all
2 of this work in concert with the industry.

3 MR. TOOMEY: I would also like to add
4 that that same work needs to go along to the PUCs,
5 because after doing the very long procurement
6 processes, then need to justify that same
7 procurement, or that same decision to the PUC, and
8 obviously a lot of understanding and work needs to
9 go into these decisions, and so they have to relay
10 that same message again to the PUC, it would help
11 everything along if everyone is included in that
12 process.

13 MR. DAVIE: There are a couple of things
14 your comments highlighted, Heather, one is, you
15 know, with the planning that goes on, and in
16 California at the PUC, they've been doing planning
17 and they've said, you know, we don't need more
18 capacity, and they've said that in the last couple
19 of their procurement proceedings, even though
20 there's very clear testimony that there's a huge
21 flexibility problem, and a huge over-generation
22 problem, that is just flying down the road, a

1 train coming, you know, ramming into California in
2 terms of renewables we've purchased, they are
3 going to be curtailed and spilled because there's
4 not a load to use them given the lack of
5 appropriate flexibility in the system. So, that's
6 one.

7 Second, I think you kind of reiterate my
8 point; which is, the questions, reluctance
9 Utilities have in terms relying on it. They know
10 the tried and true, they know what they can rely
11 on, and so what is it going to take? And I guess
12 I would turn back to you, Heather, in terms of,
13 what is it we have to do to, you know, SoCal
14 Edison -- for SoCal Edison, to where you are
15 comfortable relying on that storage project to
16 replace and not build a substation.

17 MS. ANDERSON: And all I would add is, a
18 couple of other questions that are related to your
19 questions. You know, what's the hierarchy of the
20 uses, and who controls that? And if you are
21 getting a signal from your RTO saying, you know,
22 you have to be available for this at this time, or

1 at this amount, you know, does that override other
2 uses, and how do you sort of set that hierarchy
3 up. So lots of those questions are really great
4 questions.

5 And then the other thing that struck me
6 was when you said, don't just look at avoided
7 costs, let the market figure it out, well how do I
8 -- how do I get my Commissioners to say that, to
9 agree to that, and that's not how they are seeing
10 things right now, and so how do we provide the
11 framework and the foundation for them to be able
12 to get to that point?

13 MS. SANDERS: I don't know, but I'd
14 really like to know, because we just can't get
15 over it. There was a time when avoided cost made
16 sense, because the technology wasn't there, the
17 competition wasn't there. It made sense, now it
18 doesn't. And so, I don't know. We have some
19 regulators in the room that may be able to help us
20 with that. We are getting there. I think
21 demonstrating the success for the procurement
22 should get them there. We've successfully

1 procured a lot of storage, cost-competitively,
2 much less than an avoided cost for
3 demand-response, for example.

4 MR. TOOMEY: In terms of that, also, I
5 wasn't implying -- I didn't mean to imply earlier
6 that it should be priced at the avoided cost or
7 somewhere near the avoided cost, it's more about
8 the justification and procurement. If you know
9 that you have a T&D deferral, but the storage can
10 provide multiple uses, if you can quantify those.
11 So, you can justify that, yes, the battery costs
12 more than the transmission upgrade, but
13 holistically it is the most beneficial path
14 forward.

15 MS. SANDERS: Yeah, it's really a timing
16 consideration. It's an after-procurement
17 comparison rather than a before-procurement bogey.
18 It's the timing consideration.

19 MR. KATHPAL: And on that issue I think
20 the avoiding cost analysis is usually good to get
21 storage on the menu in places where it's not being
22 considered. I think California and Southern

1 California specifically, as you said, is a lot
2 farther ahead. So, I think it's sort of a
3 two-stage process where the analysis that users
4 avoid in cost, justify storage's consideration as
5 an alternative. The actual procurement that you
6 are talking about clearly would be set by the
7 market.

8 And, you know, you raised the idea that
9 your company has procured a lot of storage costs
10 competitively. I think that alone should be a
11 market for other states, so I think Commissions,
12 consumer advocate, utilities should all take
13 notice that in this specific cases, this one being
14 the need for new capacity resources, where SCE
15 procured storage economically. If the
16 conventional ways are followed without storage
17 being considered as an alternative, that creates a
18 prudence risk.

19 And I think that is something that
20 certainly the utilities' CFOs will probably be
21 thinking about is, you know, if I keep running
22 down this road, if building peaker plan after

1 peaker plan after peaker plan, what kind of risk
2 does that create for my shareholders if the cost
3 recovery for those is denied, when the evidence is
4 out there, clear as day, if you go look for it, in
5 the proceedings in California, some of the papers
6 from DOE, and from other analysts, that storage is
7 a lower-cost alternative.

8 CHAIRMAN COWART: Carl?

9 MR. ZICHELLA: Thank you, guys. This
10 has really been incredibly, incredibly
11 informative. A few things leap out to me, that I
12 just wanted to bounce back, reflect back to you,
13 is maybe key needs that DOE can provide listening
14 to all your presentations but, you know, the
15 things that I seem to take away as the
16 commonalities are, you know, basically analysis,
17 particularly focusing on system needs and the
18 benefits storage. Perhaps the most important one
19 that I think I've heard over and over again, is
20 the valuation and identification of services and
21 products, making that discrete and real, sort that
22 getting some idea of, and ending some of the

1 discourse about where these things land.

2 I mean, we keep running is it a
3 transmission asset, is it a generation asset, how
4 do you value that. Well, I think there are cases
5 where it's both, we need to be able to value the
6 services appropriately, and that's a really, I
7 think rich area of work to value and identify the
8 services and products. Obviously, financially
9 they have different values in different parts of
10 the country, but the value to the system will be,
11 I think something that's more consistent and
12 discrete, and may be easily identified.

13 The viability of the projects to deliver
14 services, I think a lot of that work probably has
15 already been done, you know, but there is an
16 educational and communication challenge, I think
17 Ellen was talking about; especially in some parts
18 of the country where this focus hasn't been as
19 intense. You know, you've heard of both avoid and
20 do new demonstration projects, which I thought was
21 kind of interesting, but to focus on actual
22 projects that are meeting real needs. I think

1 that's a really good thing.

2 There is a track record out there now,
3 it seems to me that, as Heather pointed out,
4 getting more of a sense of how to sort out how all
5 of this works, you know, the functionality, how
6 you track in meter, letting the market set the
7 price, these kinds of things, DOE can probably
8 help think through some of that. It's a good one
9 that I think we can put our finger on.

10 One thing Ellen said earlier about it's
11 not just about electricity; well it's not just
12 about batteries either when we are talking about
13 electricity. We have some major projects
14 appearing, and they are getting legs now, we'll
15 compress their electricity storage on a very large
16 scale in the West, we are starting to see projects
17 that could really take advantage of fly wheel
18 technology specifically for frequency response,
19 but possibly as the technology evolves for modest
20 load following.

21 So I think, you know, we need to be open
22 to all flavors to meet the suite of needs, and

1 some things can meet multiple needs. And gives
2 them greater value, we, I think part of that
3 analytical frame for DOE is to, I think, to help
4 understand how these various technologies which
5 have different cost profiles, can perhaps solve
6 for some of the situational needs that we see in
7 the system. And as Doug's technology can be
8 dropped in almost to anywhere now, you know, those
9 flywheels can too. You know, you may not be able
10 to locate -- compress their electricity storage
11 just about anywhere, but you might eventually, as
12 they start to turn towards using pipelines and
13 that kind of thing.

14 I'll just stop there. It seems like
15 those were the big ones for me is the valuation,
16 and identifying the services and products. That's
17 really one of the biggest things, because that's
18 where the revenue streams are going to come from
19 to keep this thing going forward.

20 MR. DAVIE: And, Carl, I'd like to just
21 build on what you said there, which is make sure
22 you are identifying the performance requirements.

1 MR. ZICHELLA: Yes.

2 MR. DAVIE: Don't specify how you are
3 going to do it, specify what you want.

4 MR. ZICHELLA: Yes.

5 MR. DAVIE: Don't write a rule or
6 regulation that says, synchronized, or compressed
7 --

8 MR. SHELTON: And that rule applies to
9 every new technology, right? I mean, demand
10 response.

11 MR. DAVIE: Yes. Across the board --

12 MR. SHELTON: If you do that, demand
13 response is going to show up to meet a lot of
14 these needs and compete with storage, right.

15 CHAIRMAN COWART: Sue?

16 MS. TIERNEY: Thanks. Great panel, and
17 really appreciate it. Thanks, Chris, for setting
18 this up, it's very, very helpful. I have two
19 questions. The first one, anybody can answer, and
20 the second one is probably to Doug. And so, on
21 the first question, I'm interested to know on this
22 point that was just made, in a procurement for

1 actual market performance, as opposed to something
2 which is trying to condition the market and get
3 some new technologies out there, so I'm talking
4 about real procurements now for something that is
5 technology-neutral, where you describe the
6 services and functionalities that you need, as
7 opposed to saying the technology.

8 So, right on that point, how much of the
9 experience to date, on procurements that we've
10 seen in the market, from California to anywhere,
11 is actually technology neutral, performance
12 oriented, in the ways that you all were describing
13 that I totally agree with? Versus procurement
14 that are still being designed for storage, as a
15 carve-out, the way that some places have
16 procurement for solar, as a carve out; so how much
17 have we actually seen in the market to date? So
18 that's for any of you guys. And then a second one
19 for Gary is, I am trying to wrap my head around
20 your -- I said Gary -- Doug. It's a four-letter
21 word, Doug, Gary, sorry, I'm sorry. In your
22 package with the LMS100 that's the hybrid storage

1 and that GE system, I'm having a hard time seeing
2 how the battery is durably seen as a zero carbon
3 resource.

4 Because I'm picturing a world in which
5 you are injecting power into that system from the
6 grid, or from your resource, and if there are
7 portions of the time when a fossil unit is on the
8 margin, how it's greenhouse gases. So that one is
9 just clarifying how the structure of the package
10 works.

11 MS. ANDERSON: I'll just jump in and
12 say, I mean, the only thing that comes to mind in
13 terms of procurement that can be broadly
14 technology neutral, in which we have many
15 experiences, really just capacity or resource
16 needs, so 200 megawatts is needed by this utility,
17 and that is a pretty narrow approach that wouldn't
18 encompass all of the different kinds of needs that
19 we are talking about.

20 I mean, we did, we had some experience
21 with that, where XL was expecting natural gas to
22 meet -- you know, to come back in the bids, and we

1 had a distributed solar product that actually beat
2 natural gas head-to-head in that -- and that was a
3 first in Minnesota for that to happen at the
4 Commission, but that's the best example I can come
5 up with.

6 MR. KATHPAL: So, on the procurement
7 question, we've seen a spectrum of practices, I
8 would say on the worst end, is a capacity
9 procurement, that's technology specific, and names
10 the legacy technology, but it says --

11 MR. SHELTON: Yes, it even says that you
12 would give preference to certain classes of that
13 technology, right?

14 MR. KATHPAL: You know, it's terrific
15 marketing by some turbine salesman to get written
16 into a procurement like that, but that from the
17 storage industries point of view that's the
18 absolute worst case, right? Not only are you not
19 on the menu, but you are deliberately excluded
20 from it. But you know, it's not out of malice,
21 this comes to the point about education that I
22 think we've been echoing around the room the whole

1 morning, it's because the relevant stakeholders
2 don't know storage is a viable alternative.

3 Next would be procurements that are
4 nominally all source, but again, because storage
5 hasn't been contemplated, it hasn't been
6 anticipated, the evaluation framework is narrowly
7 defined in a way that we don't think has captured
8 all of the benefits of storage. So, it's
9 incomplete, or in some cases it's inappropriate,
10 where the metric being used is -- For example,
11 LCOE, right, LCOE of any capacity resources a
12 terrible metric because, you know, you have to
13 make a utilization assumption for the denominator,
14 and then from there things get better.

15 So we have seen -- we have seen
16 procurements that define a range of technologies
17 that are ineligible, probably the most structured
18 one was the one that Southern California Edison
19 brand, where they said, okay, this much -- you
20 know, this is our overall need. There are some
21 flexibility as to which resources could mean how
22 much, but they knew that gas was going to come,

1 and storage was going to come, and demand response
2 was going to come et cetera.

3 It's that middle area where all the
4 technologies are eligible the evaluation
5 frameworks need to be defined and improved that I
6 think is a huge challenge right now for industry,
7 and probably one DOE could help with. It's
8 something I think we are all on the developer and
9 solution provider side, it's something we are
10 working on every day.

11 MR. SHELTON: Very practically speaking,
12 you can download Southern California Edison's
13 procurement document, right, I mean it's a great
14 example, and also PJM Manual 11 is the ancillary
15 service manual, spectacular example of great work
16 by people, you know, it was done probably 15 years
17 ago, they had no anticipation of storage, but they
18 wrote it as a needs-based manual.

19 MR. TOOMEY: You really stole most of my
20 thunder there.

21 MR. SHELTON: Sorry.

22 MR. TOOMEY: PJM and frequency

1 regulation market is asking any product to
2 perform, four seconds. Energy storage happens to
3 be one of the more proficient at doing so, which
4 is why you are seeing so much deployment there.
5 The best, just a needs-based case, and then
6 Southern California Edison out again, asking for
7 local capacity that could come in any form. They
8 ended up procuring 250 megawatts, I believe it was
9 the first round. A lot of it behind-the-meter,
10 something that was generally new, but the benefits
11 are there, and they saw, and storage was
12 performing a lot of that role.

13 Some of it was rooftop solar or in a
14 demand response type program, for behind the
15 meter, you have some solar, but batteries can play
16 in that market, and it's just describing -- that's
17 more of a program, even though it's kind of
18 specific. It's not asking for storage
19 specifically, but they are there, and they can
20 play in that market.

21 CHAIRMAN COWART: Janice?

22 MR. SHELTON: Doug, she had a question

1 for Doug as well.

2 MS. TIERNEY: I had a question for Gary.

3 MR. SHELTON: Gary, the other guy on the
4 panel.

5 MR. DAVIE: One quick comment on the
6 procurement. The thing that is very important for
7 Commissions, in particular to understand is when
8 they authorize or order procurement, be careful
9 what you ask for, you might properly limit what
10 happens. And in the procurement for Edison, for
11 example, they were told to go get, local RA
12 capacity, with a certain area, and so there was a
13 quandary that the utility had over -- you add in
14 all reserve things besides the LCR that I need,
15 how am I -- Am I able to, can I, should I value
16 that because you offered it and somebody else
17 didn't but they could have? So there is an issue
18 over the fairness the equity, the process, and you
19 know, it's very important in procurement to say,
20 what I need, but to not limit the utilities
21 procuring in terms of valuing other things that
22 are offered.

1 MR. SHELTON: Yes. It's sort of a vast
2 issue, right? So if you go to the grocery store
3 to buy vegetables, but fruit is on sale, you'll
4 want to get the fruit too. Right?

5 MR. DAVIE: Well, especially if it
6 comes, you know, you buy fruits --

7 MR. SHELTON: Yes. It comes -- it's for
8 free, you get a free apple if you buy some celery.

9 MS. TIERNEY: It's like a tomato, which
10 is, you don't know if it's a vegetable or a fruit.

11 MR. DAVIE: Yes. And you know, the
12 second example I give, is the procurement that's
13 resulting the Commission acted last Thursday,
14 Friday morning the RFO's issues obviously got
15 written, the actual resolution got changed. On
16 Thursday afternoon there were some discussions
17 that was very informative about the requirements,
18 and now the RFO would come out, and the purpose of
19 the RFO was to address the Aliso Canyon problem.
20 But it what was earlier drafts of the resolution,
21 it had 4-hour RA requirements, and full capacity
22 deliverability capability, but they specifically

1 discussed at the Commission meeting, those weren't
2 requirements.

3 So now, we are trying to solve a
4 problem, to the extent those other things are
5 provided, that's excellent gravy, but you've got
6 to have the potato, and the gravy is optional.
7 And so utilities, Commissions and utilities need
8 to be real careful in terms of what you want and
9 are you creating barriers to say, oh, this project
10 can't compete even though it's great for Aliso
11 Canyon, but it doesn't have -- it's not in the
12 right area, or things like that; so, very careful.

13 Changing real quickly to the EGT, and I
14 would suggest maybe a follow-up conversation in
15 more detail, but let me give a real quick
16 explanation. With the EGT -- Without the EGT, for
17 example, a system has to provide spinning
18 reserves, and the way you provide spinning
19 reserves is you have a thermal unit online, and
20 you back down, so your reserving capability form a
21 thermal unit. Backing it down means you are
22 reducing -- you are moving it off of its optimum

1 load point.

2 With the EGT you can allow that unit to
3 go up to its optimum point, because I'm going to
4 provide the spinning reserve services, from my EGT
5 with zero GHG because I can meet all of the
6 performance requirements, I can go from zero to
7 50, I can meet the -- I can be 10 -- or 20 percent
8 of my award within less than a second, the
9 requirements are 8, I can be at full load, and in
10 less than 10, I'll be there in about 6 or 7, the
11 requirements are 10, so my hybrid meets all the
12 performance requirements, and rather than just
13 operating 5 percent of the year as a peaker, I've
14 got the other 95 percent of the year, where I'm
15 providing spinning and it allows a re- dispatch so
16 that two things are happening.

17 One, a unit that was being backed down,
18 can go to full load, another unit can be turned
19 off, so I am now provided the resources and the
20 spinning is coming with zero GHG behind it. There
21 is no energy behind it. And so that's a real
22 quick explanation of what's happening, but I'll be

1 happy to go into more detail with --

2 MS. TIERNEY: And you are literally
3 injecting from the LMS100?

4 MR. DAVIE: Well right now it's an
5 LM6000 --

6 MS. TIERNEY: Okay.

7 MR. DAVIE: So its 50-megawatt blocks,
8 and what we have, so it's an integrated package,
9 and it's basically, under the hood, is an LM6000
10 in storage, and you are sitting there in the
11 driveway or at the side of the street, with your
12 ready light on, and you can take off and go, but
13 you are not sitting there idling with your
14 gas-only engine, ready to go.

15 MS. TIERNEY: Thank you.

16 CHAIRMAN COWART: Okay. Now, Janice?

17 MS. LIN: Thank you. Great panel, guys.
18 I wanted to build on something that I think it was
19 Mike said, and he said, this is not a technology
20 issue; it's a market adoption issue. It's about
21 helping utilities understand their needs and
22 understand their options including storage for

1 meeting their needs, and I think later the
2 statement was expanded to include regulators,
3 maybe some other key stakeholders, and I think
4 DOE, in particular has been doing some really
5 amazing, leading work that's helping with this,
6 the DOE database, awesome resource like a million
7 heads worldwide to go to resource for projects
8 that are online.

9 These regional meetings; I think are
10 really well attended, when DOE puts on a regional
11 meeting for regulators, the regulators show up.
12 It's amazing, they take time out of their day,
13 they spend a whole day to learn about storage, and
14 from my experience in participating in some of
15 these and many other similar stakeholder meetings,
16 I think that one way to make them even more
17 effective is to include more work.

18 As part of that, maybe a little more
19 advanced work to identify some of the regional
20 challenges, because what I've seen happen even at
21 like some of the New York meetings I've attended,
22 is there's a lot of information about storage, but

1 it's that connection to, well, you know, I get,
2 it's all this useful stuff, it's a case study in
3 California, not so helpful to me, it's really
4 linking the capabilities to what are my problems.
5 And I think with just a little bit more investment
6 and a little more advance preparation these
7 regional meetings can help bridge that gap.

8 But how do you get Ellen's regulator in
9 Minnesota really tuned in and interested to figure
10 out and do something, because if it's just an
11 information dump it's all too easy to say, well,
12 it's going to raise my rate, and so it's not ready
13 and I'm not going there. But if the one thing,
14 and one thing that we've seen in California and
15 other markets we worked in, is when people can
16 agree on what the core problems are and see an
17 objective array of solutions, they are more
18 willing to take that next step, and make the
19 effort to see if it works.

20 And I think then in that way DOE can be
21 a tremendous catalyst and that extra human step
22 will just put all the tools that have been built

1 to work, because there is such a great array of
2 tools, but they are not really using it, because
3 they haven't made that mental leap, that this can
4 actually be a solution for me. And the other
5 thing I wanted to mention, is this procurement
6 that Edison did is really, truly amazing.

7 I know you guys are all really familiar
8 with it, but just historically, you know, in the
9 California, the legislation, and the docket, you
10 know, Edison was probably one of the -- you know,
11 leading voices against a storage requirement in
12 California, and then here we are in implementation
13 and out there, and the number one leader in
14 storage. So I just wanted mention that we
15 produced a short 5- minute documentary about that
16 procurement, about the legislation, the regulatory
17 implementation, and the procurement, we did it
18 with AES, GE and Edison, sponsored that video.
19 And it's free and available online, and happy to
20 send the link to everybody to check it out.

21 CHAIRMAN COWART: Right, but either you
22 should, or we should ask ICF to send the link

1 around. Thank you.

2 MR. KATHPAL: Can I respond to something
3 Janice said? I think the idea of the advance
4 work, to understand regional needs before regional
5 meeting is a really, really good idea. I mean,
6 just -- what was it, last month, I think, there
7 was a Southwest Workshop, that DOE and regulators
8 had together. The elephant in the room there, is
9 that the utilities in the Southwest if you
10 actually go through and read all of their IRPs,
11 which we have, and add it all together, there's
12 over 10,000 megawatts of new gas-fired peaking
13 plant.

14 This isn't coming out of, you know, like
15 a long-term model that some consultant is running
16 nationally, these are the utilities actually
17 putting this down, saying, you know, each of them,
18 you add them all up, there's 10,000 megawatts of
19 peaking plants. That's the kind of issue that you
20 could really create a dialogue around, and scope
21 some studies around at a workshop like that;
22 right? What does the world look like if we take

1 half of those, all of those and built storage
2 instead.

3 MS. ANDERSON: And I'll just add. I
4 would say all of our IRPs have that as well, more
5 or less. Maybe not 10,000, but it's in
6 everybody's plan. Yes.

7 MS. REDER: Yes. I guess my thought was
8 along the -- Doug, you had one bullet in your
9 slide deck, and I wanted to pursue that a little
10 bit more within some context here, and it was the
11 denial of the extent of the reliability issues are
12 really contemplated in the lab as DER activity.
13 And it seems your comment was from, you know, the
14 variability and just maybe not taking that into
15 full account, and the lifecycle implications.

16 However, it dawns on me that perhaps in
17 the distribution space, we are in a situation
18 where, you know, the dependability, durability,
19 flexibility aspects of this asset, we are not
20 necessarily able to quantify with a reliability
21 context. And I wonder if the operation side of
22 the equation couldn't help us be the leader in the

1 dance, if you will, to put metrics around this
2 aspect. I'm wondering if you could just kind of
3 add some comments here, to perhaps fill in this
4 gap, that we didn't have time to discuss.

5 MR. DAVIE: Well, my comment on the
6 denial, is around the issue of the renewable
7 integration in California, and what is happening,
8 and what that means. That, you know, the infamous
9 duck curve is out there, and they talked about it
10 in terms of a curtailment problem, the real issue
11 is it starts as an over-generation problem, and
12 over-generation is a reliability problem, and has
13 to be resolved. And you know, the basic
14 assumption in California was, well, just curtail
15 it. Not a problem, we'll dump it.

16 Not a good policy decision, not a good
17 repair cost decision, but that was a presumption,
18 and part of it was built around, because we got
19 till 2024 to solve it, and we didn't see it
20 happening, and I think originally the Cal ISO was
21 not particularly supportive of needing to do
22 sooner rather than later. Last year they did come

1 around and realize, yes, the problem is coming
2 sooner, and it's bigger than we are seeing. They
3 were talking about the thousands of megawatts that
4 were being curtailed day after day after day,
5 earlier this year.

6 Now they were able to achieve that with
7 negative prices in the market. However, as you
8 get up to meeting 5-, 10-, 15,000 megawatts of
9 curtailed, now they are going to have to be doing
10 some of the -- they are going to be picking up the
11 phone or some other way to deal with that. And
12 administratively from a functional standpoint, how
13 many people are going to have to add to the
14 control room to be calling generators to
15 disconnect, or are they just going to shut down
16 the circuits. There are some real issues that are
17 out there, that Cal -- that ISO is now coming
18 around to it, but there's been a denial of the
19 significance of the problem, the need for
20 flexibility.

21 And that was what was building; we were
22 looking at storage as well as other options in

1 terms of ways to provide the flexibility that is
2 now provided by keeping combined cycles online.
3 You keep them at half-load, that's how you get our
4 flexibility, but it creates a Pmin burden that is
5 blocking renewables from being used, but you
6 wanted that plan to be offline, but to be able to
7 respond immediately. That's the denial, I think
8 there are progress is being made in it, people are
9 seeing that, but it's now more, I think of an
10 economic -- more economic to add the flexibility
11 as compared to curtail the renewables.

12 MS. REDER: Yes, Pat. I know you have
13 some work going on in the metrics aspects, but
14 this is an area that just begs for some more
15 specifics, I guess.

16 CHAIRMAN COWART: That actually leads to
17 one of my two questions. And one of them is, has
18 anyone calculated any specific circumstances what
19 might be called the net carbon benefit of storage?
20 That is basically following up on the point that
21 Doug just made, that if you are not curtailing
22 your renewables, and you are not having to run

1 additional spinning reserves then, in fact, the
2 combination of those two things, you know, is
3 yielding the carbon benefit.

4 MR. SHELTON: It's my market -- Go
5 ahead.

6 MR. TOOMEY: We are definitely working
7 with E3 in California right now, on some of those.

8 CHAIRMAN COWART: To calculate that,
9 because that's a very powerful argument in a lot
10 of places around the world including in Europe.

11 MR. SHELTON: It is very market specific
12 and very dynamic.

13 MR. TOOMEY: Of course.

14 MR. SHELTON: So, yes. I mean, it's
15 challenging, but once you -- if you have a very
16 confined, defined future, you can make a statement
17 about it, but how many of those do we have, right.
18 But generally it's a reduction of a significant
19 amount, and I don't know, Praveen, if you have any
20 numbers off the top of your head that we've done,
21 but I don't recall them.

22 MR. DAVIE: Yes. Absolutely, we have

1 done that. We've done work, you know, and the
2 work I showed earlier was based on using PLEXOS
3 Model during sequential stimulations going from an
4 hourly to a 5-minute for 2019th. We've had some
5 other consultants our specific EGT in terms of the
6 benefits, in terms of reduced systems costs,
7 savings and ancillary services, GHG reductions, I
8 don't have the numbers specifically off the top of
9 my head, but gave the EGT project a three-year
10 payback.

11 A three-year simple payback on the
12 investment, just from those savings alone, that
13 didn't even address the reduced wear and tear and
14 equipment. But I can provide more follow-up
15 information on that. But, yes, we have looked at
16 it, and it is not insignificant in terms of the
17 GHG benefits. Originally that was our focal point
18 of going after it, as we got into it, we found
19 there were a lot of other benefits besides the
20 simple GHG reductions that's at the heart of
21 basically California does.

22 MR. SHELTON: Yes. NOx and SO2 are

1 huge, right, for the standby?

2 MR. KATHPAL: Yes. There is a very
3 brief analysis that the Energy Storage Association
4 submitted to EPA related to the Clean Power Plan.
5 Comments on that policy that included, just a
6 quick calculation of the emissions reductions for
7 NOx SO2 to CO2, that was based on the very simple
8 assumption that you are running a combined cycle
9 plant efficiently, and you are substituting for
10 output of the peaker plants.

11 And it showed a significant benefit,
12 just on that basis. I think what you are talking
13 about to do it on a net system-wide basis, goes a
14 lot further, and there may be -- I think one of
15 the more recent papers from NREL where they
16 modeled an amount of storage equal to the
17 California legislated targets. They modeled all
18 of the Western U.S. I believe that had some
19 carbon-reduction figures in it.

20 MR. SHELTON: It's pretty
21 straightforward to do the math on the PJM -- PJM
22 and the Market Monitor Report, what has changed in

1 the frequency regulation market. So it's mostly
2 batteries during frequency regulation. You know,
3 kind of know their efficiency levels of most
4 batteries. You can do the calculation there, it's
5 mostly kicked out coal, that was doing frequency
6 regulation, so it's pretty straightforward. In an
7 early study done by Beacon with DOE actually
8 developed a methodology for that, with KEMA, and I
9 think DOE was a part of it at one point.

10 MS. ANDERSON: And just to say that our
11 state, and a number of other states, that are not
12 necessarily in red, and in California have
13 greenhouse gas reduction goals, and obviously
14 clean power planning, planning in many states,
15 still. And so that would be really valuable, and
16 that's not -- when we talk about how to meet our
17 greenhouse gas reduction goals, storage has never
18 been on the list, and so that will be really
19 useful information.

20 CHAIRMAN COWART: Well, this is now
21 leading to a question I wanted to ask you, which
22 is you mentioned the thermal storage, and hot

1 water heaters, for example. Yesterday in this
2 Committee we were talking about the smart charging
3 of electric vehicles, and when I think of the
4 suite of resource possibilities that we are going
5 to need in order to integrate a very large
6 fraction of variable renewables, I think we need
7 all three of those things. And so, I guess my
8 question to the panel -- and I don't want to -- If
9 we don't have time for an extended discussion.
10 But would you support the writing of the
11 performance requirements for storage in such a way
12 that if someone can aggregate a lot of hot water
13 heaters, or a lot of smart-charging electric
14 vehicles to meet that performance requirement that
15 -- Do you think they beat batteries? Or batteries
16 always win? Or what?

17 MR. KATHPAL: That question comes to a
18 lot of what Heather was pointing out as to, on a
19 grid system, on the utility system, you need
20 something to be available, and durable, and
21 dependable, and all those other things. So, if
22 that's part of the requirements, then absolutely.

1 You know, whatever the most effective and
2 cost-effective technology is that can meet the
3 needs and create the benefit for customers, we
4 welcome that.

5 MS. ANDERSON: Yes. And I would say for
6 sure, we need both hand, and you know, in an early
7 stage, states like ours where those hot water
8 heaters can be a little more cost effective,
9 probably right now, but the combination will be
10 optimal over time.

11 MR. DAVIE: I would very simply say,
12 don't write the requirements for storage. Write
13 the requirements for what the system needs, and
14 let us, the suppliers, the innovators, figure out
15 how we are going to deliver that to you, in a way
16 that you are confident and can rely upon that to
17 keep the lights on.

18 MS. ANDERSON: Well, and one more thing
19 that, you know, it's not going to be the case
20 again, in every jurisdiction, but the greenhouse
21 gas component of that is also important too,
22 because, for example, in Minnesota, where you are

1 shifting to off-peak you may have a higher
2 greenhouse impact at this point in the grid, and
3 so that's something that might be a measuring
4 factor as well.

5 CHAIRMAN COWART: John?

6 MR. ADAMS: I've been cutting my
7 questions down. The first, does any of the
8 markets have a storage model, and the dead market
9 optimization; any one? No.

10 MS. SANDERS: Yes.

11 MR. ADAMS: Yes, California?

12 MS. SANDERS: Yes. California has an
13 energy storage model, it's called the
14 Non-Generating Resource Model, it co-optimizes the
15 operation of energy storage, both the (inaudible)
16 full negative. So, charging through its full
17 discharging provision of energy in the market, so
18 it's been there, what, three years? It's not
19 really used because of all the other things that
20 they are saying, but I think we have hope.

21 MR. SHELTON: And New York has a
22 designation of a resource type, I think coyly

1 named Lesser; it's a limited energy storage
2 resource.

3 MR. ADAMS: Yes. We've got a
4 definition, but we don't have it really optimized,
5 and that's what I'm asking.

6 MR. SHELTON: But is that modeled? I
7 don't know. I don't know how that would ever have
8 been modeled.

9 MR. ADAMS: Okay. My second question:
10 Doug, you held that device, I noticed you were
11 providing services only in the energy providing
12 side, and I was wondering, well, why not. When
13 you are charging, you ought to also be able to
14 bury that thing and provide ancillary services on
15 both sides. Can you just explain why not?

16 MR. DAVIE: Well, one of the reasons is
17 that from where we are right now in California
18 that adds complication, absolutely, we can do it.
19 You have, we will have the capability with the
20 project of going instantaneously from minus 10 at
21 any point, to plus 60 at any point. However,
22 because of the rules that regulations of what's in

1 place right now, is 50 megawatts, and that's the
2 only reason, John.

3 MR. ADAMS: Okay. And can you sell,
4 zero inertia? I know it's not a defined term
5 anyway, so I've got to ask you to just imagine.
6 Can you respond fast enough that you act like
7 inertia on the system?

8 MR. DAVIE: Absolutely. And we have the
9 studies done, and I've got curves in there and
10 presentations, you know, can talk with you later,
11 but to show the response of the EGT alone, versus
12 the response of the hybrid, and whether it was
13 voltage, whether it was frequency, the EGT is way
14 faster, or way more accurate in arresting, and
15 bringing it back to where you want to be.

16 MR. ADAMS: Thank you.

17 CHAIRMAN COWART: And Jeff, I think you
18 have the last question. Mark, has a question too.

19 MR. MORRIS: Yes. You know, this
20 comment about some of that carbon benefits that,
21 you know, Richard brought up, I just want to
22 comment. There's a regulatory construct we see in

1 the West between California, Oregon and
2 Washington, somewhat, where, because we have a
3 performance standard for base load, fossil fuel
4 units, plus RPS standards, which is a regulatory
5 construct, that if you bring renewables to a part
6 of your base load portfolio, you are forced to go
7 peaking turbines to confirm that. They call them
8 peaking turbines, but they are not actually
9 peaking turbines, that are being used for an
10 artificial peak that's caused by the renewables
11 being forced into the portfolio.

12 We looked and because of this regulatory
13 construct, this forcing folks to single-cycle
14 turbines instead of even combining cycle ones,
15 they would be counted as base load, we are
16 actually promulgating a worse carbon outcome, had
17 we just not left everything alone. And where I'm
18 heading with this, is the clean power plant
19 doesn't affect the same thing. It's going to
20 compound with that construct, because again, the
21 single-cycle peaking turbines aren't being counted
22 as base loads, but yet, are being used to firm all

1 the qualifying base loads, renewables being
2 brought into the portfolio.

3 Where I'm going with this, is that we've
4 always wanted to articulate this into the
5 integrated resource planning process, that looks
6 at life-cycle risk of these technology, and
7 there's not a good set of data for policymakers to
8 actually source to say, Utility, you need to
9 consider, when you do your Monte Carlo gambit, if
10 you are building towards an efficient frontier
11 model, that this is the net carbon actually cost
12 of or benefit of storage versus single peaking
13 turbines. And here is the risk of the regulations
14 change to actually qualify as part of your base
15 load resource over the lifetime of that asset.

16 The other thing we don't really have is
17 any type of levelized cost on an annual basis,
18 because we were talking, because of the
19 proprietary relationship of some of the sales, but
20 again, to even have those to say, hey, utilities,
21 when you are in this IRP process, here is the list
22 of levelized cost numbers you should be using as

1 opposed to just making the numbers up. Because
2 that's what happens a lot today, is there's not
3 expertise when the stakeholder consultation
4 happens, to actually say, those were actually good
5 numbers to hang your hat on, of what the lifecycle
6 risk or benefit of storages versus all the
7 capacity you had in technology.

8 So we would love to have it either from
9 industry or from DOE, it's this concept that
10 talked about the Grid Modernization group
11 yesterday about this, there is not a Black's Law
12 Dictionary of who to source as a credible source
13 for these facts. And it doesn't have to be
14 perfect, but even a range would be useful to
15 policymakers to say this is what you need to be
16 talking about in these dialogues you are having
17 about what you are planning purpose -- you know,
18 your planning is.

19 So, I guess there was not only a
20 question there, but Praveen you and I have talked
21 about this over the years, and is there -- you
22 know, in the industry, is there any push, whether

1 it's through the National Energy Storage Group, or
2 the state-based one, to actually give that kind
3 Black's Law, reference source for a range of
4 costs.

5 MR. KATHPAL: Yes. And that's something
6 that the Energy Storage Association is active in
7 now, trying to get more involved in being a source
8 of information to the integrated resource planning
9 proceedings that are happening nationwide. I
10 don't see the inputs that the industry or DOE
11 would provide as much in the category of levelized
12 cost, but probably around installing costs, and
13 operating characteristics, and I would warn anyone
14 from providing those without also providing some
15 kind of framework for valuation because, you know,
16 it's not ultimately about the levelized cost,
17 coming out of a particular resource, it's about
18 what's happening on an overall system.

19 So, I think whether that's about, you
20 know, fuel use or emissions, carbon emissions,
21 that that holistic view can be applied to storage,
22 can be applied to peaking turbines that you are

1 seeing in your region, and I think in most cases
2 it will show that storage is the cost-effective
3 alternative.

4 MR. SHELTON: Yes. Praveen, I think,
5 pointed that it's out of a lot of the comments of
6 the panel. What you draw the circle around when
7 you do the LCOE analysis, is critical for storage.
8 You have to draw it around the whole system. You
9 can't just draw it around the asset. That's the
10 challenge for storage, and I think that is area
11 that DOE can help with. When you mentioned then
12 load it's a great example, it's a drag on the
13 system, that storage can help solve, that it plays
14 into that LCOE.

15 CHAIRMAN COWART: Now, Mark, I think you
16 have the last question.

17 MR. LAUBY: Thank you. I just wanted
18 to clarify something with regard to nerve
19 standards, and specifically there was a comment
20 made that storage cannot be used for contingency
21 reserves, and the current VAL standard, VAL 002
22 calls for -- Howard is -- believe me, Howard is

1 calling me with the full answer here. It talks
2 about operating or continuing reserves, and both
3 the spinning and non-spinning. And storage would
4 clearly, you know, fall -- easily fall and qualify
5 for the non-spinning portion.

6 It just has to be able to respond within
7 a certain time period, which I know storage moves
8 really quick. The new VAL 002 tough that's in
9 front of the Commission, eliminates that
10 distinction completely. And all it talks about is
11 just reserves, and we leave it up to the balancing
12 authority, and the RC to figure out how they are
13 get that reserve over to demand response, the
14 storage, the spinning, the non-spin, it doesn't
15 make a difference, so relief is on the way.

16 MR. DAVIE: Absolutely. It's on the
17 way, we are making comments in the 801-629 --

18 MR. LAUBY: Yes.

19 MR. DAVIE: -- next week. Things are
20 moving in the right direction, but although
21 everybody is in agreement, what should happen and
22 you do, there is still paperwork that has to be

1 cleaned up, and that's the price --

2 MR. SHELTON: Doug, to be clear --

3 MR. DAVIE: -- they are reluctant to
4 make the changes until they know it's trickled
5 down.

6 MR. SHELTON: Your comments, Doug, were
7 about the fact that it wasn't clear, right. It
8 wasn't that it wasn't allowed, it's just that it
9 wasn't clear that it was allowed. Was that --

10 MR. DAVIE: There is ambiguity, and
11 ambiguity is bad for investors, and it's on the
12 path to getting cleaned up, but that's just an
13 example of something that was done and it --
14 Congratulations to all that are working for NERC
15 and others, but it's an example of something that
16 needed to get cleaned up, and it is getting
17 cleaned up, because people are recognizing. Yes,
18 that was a mistake.

19 MR. LAUBY: And we are checking on the
20 WEC Standards, do you understand, there are
21 regional standards, and then there's national
22 standards, and we are trying to harmonize all

1 those but there may be an outstanding WEC standard
2 we are going to take a look at. In the meantime,
3 though if there's an issue, we can certainly issue
4 some guidance with the help of Cal ISO.

5 MR. DAVIE: You'll have our comments
6 Monday.

7 MR. LAUBY: Great.

8 CHAIRMAN COWART: All right. Chris,
9 panelists, thank you very much. (Applause) We
10 really appreciate it. We are ahead of schedule,
11 and we are going to adjourn this meeting ahead of
12 schedule, there were no members of the public
13 signed up to address the Committee, and I would
14 just in closing -- Oh, we do have a couple of
15 announcements. One is that we have a mobile
16 device that someone left in the room, and Rachel
17 has been --

18 MS. FINAN: It was left on that side of
19 the room yesterday.

20 CHAIRMAN COWART: So I think we'll --

21 MS. FINAN: We'll hold onto it.

22 CHAIRMAN COWART: Yes. We'll leave it

1 with ICF, and I'm sure someone will be contacting
2 you.

3 MS. HOFFMAN: I guess, before we close,
4 I just want to give my -- express my gratitude to
5 Wanda, Rich, and Sonny, and of course Gordon is
6 not here, but for all the work and support you did
7 for the Committee, so I really appreciate. I
8 would like to thank you all for your support on
9 that.

10 (Applause)

11 CHAIRMAN COWART: And I will especially
12 thank the others named. The Subcommittee Chairs
13 have -- and Sonny, have really delivered a lot of
14 great service to the nation, and to the
15 Department, and it's been a pleasure to serve with
16 them, and with you all. I'm sorry I'm not going
17 to be here in the next meetings, but I know you
18 have a good agenda, so I look forward to hearing
19 about it. And good luck to Sue and Carl, and we
20 would have loved to hear the news from you guys.

21 MR. ZICHELLA: Mr. Chairman, before we
22 adjourn I have one thing, and I think Sue -- I'm

1 going to defer to Sue --

2 MS. TIERNEY: Go on.

3 MR. ZICHELLA: Well, I just wanted to
4 suggest here that the EAC provide some note of our
5 appreciation for your leadership over the years.
6 I'd like to move that we work with the Department
7 on some, at least Certificate of Recognition for
8 the work that's been done by you, Rich. And of
9 course everyone who has been working with you, but
10 you have been a remarkably effective Chair, and
11 I've appreciated working with you, and I'm sure
12 everyone in here agrees with that.

13 So, I'd like to make a motion that we
14 collectively come up with a token of our
15 appreciation for our outgoing Chair, Richard
16 Cowart.

17 SPEAKER: Second.

18 MS. TIERNEY: All those in favor, aye,
19 let's do it.

20 GROUP: Aye.

21 MS. TIERNEY: And I would also like to
22 add that there should be a resolution of

1 appreciation for Sonny as well, these two
2 gentlemen are just incredible resources to the
3 nation and we are going to miss you.

4 SPEAKER: Absolutely.

5 MS. TIERNEY: But you are not going
6 away.

7 CHAIRMAN COWART: All right. Thanks
8 everybody. We are adjourned.

9 (Whereupon, at 12:14 p.m., the
10 PROCEEDINGS were adjourned.)

11 * * * * *

12

13

14

15

16

17

18

19

20

21

22

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Carleton J. Anderson, III, notary
4 public in and for the Commonwealth of Virginia, do
5 hereby certify that the forgoing PROCEEDING was
6 duly recorded and thereafter reduced to print under
7 my direction; that the witnesses were sworn to tell
8 the truth under penalty of perjury; that said
9 transcript is a true record of the testimony given
10 by witnesses; that I am neither counsel for,
11 related to, nor employed by any of the parties to
12 the action in which this proceeding was called;
13 and, furthermore, that I am not a relative or
14 employee of any attorney or counsel employed by the
15 parties hereto, nor financially or otherwise
16 interested in the outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21 My Commission Expires: November 30, 2016

22 Notary Public Number 351998

