

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

129TH MEETING OF THE

NATIONAL PETROLEUM COUNCIL

THURSDAY, DECEMBER 12, 2019

9:00 A.M.

WILLARD INTERCONTINENTAL HOTEL

WASHINGTON, DC

Reported by: Linda Metcalf, CER

C O N T E N T S	
AGENDA ITEM:	PAGE:
1	
2	
3	Call to Order, Introductory Remarks 3
4	
5	Remarks by the Honorable Dan R. Brouillette,
6	Secretary of Energy 5
7	
8	Consideration of the Proposed Final Report on the
9	NPC Committee on U.S. Oil and Natural Gas
10	Transportation Infrastructure 13
11	
12	Consideration of the Proposed Final Report on the
13	NPC Committee on Carbon Capture, Use, and
14	Storage 45
15	
16	Remarks by the Honorable Steven E. Winberg,
17	Assistant Secretary for Fossil Energy 73
18	
19	Administrative Matters 81
20	
21	Discussion of Any Other Business 87
22	
23	Adjournment 87
24	
25	

1 P R O C E E D I N G S

2 - - - - -

3 (9:00 a.m.)

4 MR. GREG ARMSTRONG: So good morning, ladies
5 and gentlemen, and will the 129th meeting of the
6 National Petroleum Council please come to order. I
7 want to welcome all the members of the Council, our
8 honored guests, members of the press and the public.
9 We have a very full agenda today to lead us through
10 what I think will be a very productive meeting and a
11 lot of information to cover.

12 One of the highlights of today's meeting is
13 that we have the honor of having Secretary Brouillette
14 joining us, and I'll make a few more comments about the
15 Secretary here in a few minutes, not before we dive
16 into today's items -- the items on today's agenda, I
17 have a few logistical and administrative issues that we
18 do need to cover.

19 First, I want to make the customary safety
20 announcement. There are no scheduled fire alarms
21 today, so if the alarm sounds, we will evacuate through
22 the doors at the back, up the stairs, through the
23 lobby, to the street. The rally point will be across
24 the street in Pershing Park.

25 Second, if there's no objection, I'll dispense

1 with the calling of the roll, but I will note that for
2 the members of the Council, the check-in at the
3 Buchanan Room will serve as our official attendance
4 record. Any member or observer for a member who has
5 not checked in, please do so before you leave so to
6 ensure we have an accurate record of today's
7 attendance.

8 Third, I want to note that as in prior
9 meetings today we have an online audience that will be
10 able to watch the livestream of today's proceedings.
11 The audience includes Council Members unable to attend
12 today, as well as many of the individuals who
13 contributed to these two study efforts that we'll
14 consider this morning, and we welcome their attendance
15 electronically.

16 And then, finally, I have the honor to
17 introduce to you and for the record the participants
18 with me at the head table. To my right, we have the
19 Honorable Dan Brouillette, Secretary of Energy, whose
20 remarks you'll hear just shortly. Next is Larry
21 Nichols, who is the NPC Vice Chair. Next to Larry we
22 have the Honorable Steve Winberg, Assistant Secretary
23 for Fossil Energy and Government Cochair of the CCUS's
24 study Coordinating Subcommittee.

25 On my left is Alan Armstrong, Chair of the NPC

1 Committee on U.S. Oil and Natural Gas Transportation
2 Infrastructure. Next is John Minge, Chair of the NPC
3 Committee on Carbon Capture, Use, and Storage. And,
4 finally, Marshall Nichols, Executive Director of the
5 Council, and without whose assistance I could not have
6 made it through the last three years.

7 So the first order of business is to hear from
8 the nation's 15th and newest Secretary of Energy, Dan
9 Brouillette. Before being chosen by President Trump as
10 Secretary of Energy, Dan served as the Department's
11 Second-in-Command and Chief Operating Officer. Dan
12 also served as Secretary Perry's Designee and the
13 Government Cochair on both of the study committees, so
14 he's very intimately familiar with these. And prior to
15 returning to public service, Dan had a successful
16 career in the private sector with companies such as
17 Ford Motor Company and USAA, and it's with great
18 pleasure that I introduce to you the Honorable Dan
19 Brouillette.

20 (Applause.)

21 SECRETARY BROUILLETTE: Wow, thank you, Greg.
22 Thanks for that kind introduction. And thank you for
23 the opportunity to speak to all the members of the
24 National Petroleum Council. I want to first say thank
25 you. Thank you for your leadership that you've shown

1 over the last few years and your outstanding service as
2 the outgoing NPC Chair. It was an absolute honor for
3 me to work with you, and I really appreciate the good
4 work that you have put in over these past few years.
5 We're going to miss you. I know you're not going very
6 far, but we're going to miss you as Chair, so thank you
7 for that.

8 You know, two years ago, then-Secretary Rick
9 Perry asked the NPC, this organization, to conduct
10 studies on two key energy imperatives for our country.
11 They included bolstering the infrastructure that
12 delivers our energy and commercializing carbon capture
13 utilization and storage, or what we refer to as CCUS,
14 to make that energy even cleaner. And I'm delighted
15 that as we meet here this morning, as we meet here
16 today, the initial drafts of those studies have been
17 completed. I look forward to receiving them.

18 I witnessed firsthand the hard work and the
19 dedication that was involved from the very beginning of
20 this process, and I want to just take a moment and
21 express my deepest appreciation to the members of the
22 study teams for their invaluable service to our nation.
23 I am very anxious, and I look forward, to receiving the
24 studies and to looking at those recommendations.

25 I am enormously proud of the work that we

1 have accomplished during Secretary Perry's tenure.
2 President Trump charged Secretary Perry and now myself
3 -- I was sworn in yesterday at the White House, so this
4 is very, very new to me -- with --

5 (Applause.)

6 SECRETARY BROUILLETTE: Thank you. Thank you.
7 You're very kind. You're very kind. It's still a
8 little bit surreal to me, so excuse me if I look a
9 little bit dazed and confused from time to time.

10 But, you know, the President was very clear in
11 his direction to Secretary Perry, and yesterday he was
12 very clear to me as well. We want to implement -- he
13 wants to implement what he refers to as an "all of the
14 above" strategy that will increase the United States'
15 energy independence. And I am beyond excited to share
16 with you how we're meeting that charge at the
17 Department of Energy and how we're addressing the
18 challenges that lay before us.

19 The United States remains in the midst of what
20 you know, because you're in this business, an
21 unparalleled energy renaissance, one that is already
22 transforming our nation and our world in ways that were
23 unthinkable just a few short years ago, certainly
24 within my lifetime. And within this revolution is a
25 major progress -- is major progress, I should say, in

1 clean energy. We're producing our energy more
2 abundantly, more affordably, and from a wider range of
3 sources than anyone could have ever imagined just a few
4 short years ago.

5 We're now the world's second-ranked generator
6 of both wind and solar energy, and we are the world's
7 largest producer of both oil and natural gas. Thanks
8 to that -- give yourselves a hand.

9 (Applause.)

10 SECRETARY BROUILLETTE: Give yourselves a
11 hand. Thanks to that incredible progress, in 2017, we
12 became a net exporter of natural gas for the first time
13 since the Dwight Eisenhower Administration. Since
14 2017, we've doubled the number of countries that
15 receive USLNG, from 18 to 36 countries, and they now
16 span five continents.

17 And since July of last year, stemming from
18 President Trump's agreement with the EU to increase
19 imports of US LNG, we've increased our LNG exports to
20 the European Union alone by nearly 600 percent. This
21 monumental rise is putting EU countries on a path to
22 liberation from Russia, which has long wielded its
23 energy supply as an instrument of coercion and
24 subjugation.

25 Meanwhile, this enormous energy bounty has

1 kept global supplies reliable and prices stable for
2 consumers, while marginalizing some of the bad actors
3 like Iran in our global economy. And the same nation
4 that leads the world in oil and gas production, the
5 same country that has dramatically increasing its
6 energy footprint worldwide continues to lead the world,
7 including every signatory to the Paris Accord, in
8 reducing energy-related emissions.

9 Add to this record a booming economy and
10 unemployment at a 50-year low, and the conclusion is
11 absolutely clear. We have proven beyond any doubt that
12 we can grow our economy, we can develop our energy, we
13 can make our environment cleaner, all at the same time.

14 What's driving this impressive success story?
15 One simple word: innovation. Through innovation,
16 we've increased our generation of renewables, zero
17 emissions nuclear, and low emissions natural gas.
18 Through innovation, we've made coal progressively
19 cleaner throughout the decades. The CCUS study
20 underscores just how critical this topic is. Using
21 CCUS technologies, we can and we will drive emissions
22 down even further. And I'm encouraged by the
23 cooperation on CCUS that we're seeing both domestically
24 and around the world.

25 Last year, I attended the Ninth Clean Energy

1 Ministerial. At that Ministerial, the United States,
2 Norway, and Saudi Arabia launched a new CCUS initiative
3 to advance global collaboration. And earlier this
4 year, at the Tenth Clean Energy Ministerial, energy
5 ministers from around the world and business
6 representatives came together to support increased
7 investments in CCUS.

8 And while the members also -- during the same
9 period, the members of the Oil and Gas Climate
10 Initiative announced their intention to collaborate on
11 public-private partnership to accelerate CCUS
12 technologies. And more recently, the leaders of both
13 of these initiatives affirmed their intent to launch a
14 CCUS initiative and industry worldwide.

15 We strongly believe -- this Administration
16 strongly believes -- that CCUS has tremendous
17 potential, and we are eager to see the full results of
18 this NPC final study.

19 If we want to continue this renaissance,
20 however, we must ensure that our energy infrastructure
21 remains fully up to the job to delivering the energy
22 that we produce. Those of you in business know this.
23 Our production numbers are up tremendously. That's
24 beautiful, that's great, that's fantastic. If you
25 can't get the product to market, we're going to have a

1 problem, and that's our challenge today. And it
2 underscores the importance of this infrastructure
3 study.

4 We at DOE believe that reliable,
5 uninterrupted delivery of our energy is perhaps our
6 most critical challenge. Ensuring delivery means,
7 first and foremost, that we protect existing
8 infrastructure from threats ranging from cybersecurity,
9 cyber attacks, to natural disasters. DOE, as you know,
10 is the lead agency responsible for that type of
11 protection, and we continue to collaborate and
12 coordinate with industry in the pursuit of the same.

13 And clearly your study recommendations on this
14 topic will be of great interest to me, our department,
15 and to the entire business community. But protecting
16 the infrastructure we have, while critical, is still
17 not enough to ensure reliable energy delivery. In
18 order to do that, we must build infrastructure that we
19 absolutely need, and industry has been playing a
20 leading role here, making significant investments in
21 critical infrastructure development across the entire
22 energy value chain. And given our historic surge in
23 energy supply, this is an absolute necessity.

24 But industry is being held back in certain
25 cases from building enough infrastructure by what we

1 feel are onerous rules and regulations, and recognizing
2 this problem, President Trump, through his executive
3 orders on infrastructure, took serious steps toward
4 removing them. But federal regulations aren't the
5 only problem. We must counter those who would do
6 anything to stop the use of many important sources of
7 energy, from outright banning energy sources to
8 filibustering and blocking the construction of
9 necessary infrastructure. Certain bad actors are
10 trying to slow job creators and decrease the benefits
11 for consumers.

12 Just two winters ago, a tanker was docked in
13 Boston Harbor -- I know that you all read about that --
14 selling Russian gas. Why Russian gas? Because New
15 York State refuses to allow pipelines to be built that
16 would transport clean, affordable natural gas from
17 Pennsylvania to New Englanders who need it. Due to one
18 state's extremist policies, the entire New England
19 region is cut off from receiving cheaper American
20 natural gas. Money that could stay in the United
21 States to keep our family and friends warm in the
22 wintertime could be used to sustain jobs in Appalachia,
23 or even create them across the Adirondacks, is now
24 going to a nation who continuously demonstrated its
25 eagerness to weaponize energy as a means of domination.

1 Clearly we must deal with these threats to our
2 energy delivery, and we are grateful to the NPC because
3 your study aims to do exactly that. So thank you again
4 for the tremendous effort that you've invested in two
5 of the most critical energy issues of our time. It's
6 our hope that as we look into the future our country
7 deals with this thoroughly with both of these issues,
8 making our energy cleaner and ensuring its reliable
9 delivery by innovating our way to genuine answers.

10 Thank you for the honor of being with you
11 today. I look forward to continuing our work together.
12 Greg, thank you again for your leadership. Alan, thank
13 you for your leadership. I look forward to working
14 with both of you. Thank you.

15 (Applause.)

16 MR. GREG ARMSTRONG: Thank you, Mr. Secretary.
17 Great remarks. Very great remarks. And as many of you
18 know, as the Secretary said, he was sworn in yesterday,
19 and so unfortunately his schedule demands that he goes
20 and talks to the people he's going to be leading
21 directly in the DOE. We thank you so much, and we look
22 forward to working with you in the future. Thank you.

23 (Applause.)

24 MR. GREG ARMSTRONG: So our next order of
25 business this morning is to address the reports that

1 the Secretary mentioned. The first is the NPC
2 Committee on U.S. Oil and Natural Gas Transportation
3 Infrastructure. We'll discuss the findings and
4 recommendations, and we'll vote on the adoption of the
5 proposed final report. Many members of the Council
6 provided their outstanding leadership, as well as
7 significant commitments of their personal time and
8 their organizations' resources to respond to the
9 Secretary's request for advice on this important topic.

10 Alan Armstrong, Chair of the Committee, will
11 kick off the presentation and results of this
12 comprehensive study, and I must just say, both for Alan
13 and John, when I asked them to undertake the leadership
14 of these studies, I think little did any of us
15 understand exactly how broad and deep they would
16 actually be, and I'm just glad they're both still
17 talking to me.

18 So, Alan, if you'll lead us off there.

19 MR. ALAN ARMSTRONG: Thank you, Greg, and
20 really thanks for the opportunity to get to chair this.
21 This is pretty impressive to see such a large and
22 diverse group of people come together to present such a
23 -- what I think is a tremendous body of work that I
24 think will inform us for a long time and I think
25 provides some very important recommendations.

1 And so I'm just going to provide a real brief
2 overview here on the Secretary's request and how we
3 formed and structured to respond to that and how the
4 study was guided from the Steering Committee level, and
5 then Amy Shank is going to come up, and for those of
6 you all that are not close and familiar, when the chair
7 of the Coordinating Subcommittee is the one that
8 carries most of the load in terms of leadership day to
9 day on bringing people together on this, and it's
10 really been my pleasure to get to work with Amy in
11 doing that and see what a tremendous job she's done.
12 And as Greg -- Greg always says, you have a cat-herding
13 role, but the problem with that is many of those cats
14 are actually lions and tigers. And so -- and no doubt
15 -- no doubt -- there's a lot of strong opinions on the
16 subject that we took on here.

17 So let me -- so this is the Secretary's
18 request, and you can see here really at the top
19 where we explain really the existing infrastructure
20 and the need for additional infrastructures, the first
21 topic there. And so think about that. That by itself
22 was a pretty massive undertaking to describe the
23 infrastructure in the U.S. today that we utilize to
24 get products to market. And really everything from
25 pipeline, rail, and marine traffic, tremendous amount

1 of effort that went on to describe that and just to
2 start there.

3 Then, of course, the effort was to understand
4 what changes were going to occur as supply developed in
5 new locations and markets developed in new locations,
6 and particularly, as we all know, we're lucky enough to
7 have the markets that are now along the coast, which is
8 changing the infrastructure dramatically here in the
9 U.S.

10 Secondly was to review and understand any
11 constraints and bottlenecks that would begin to exist
12 as this was developed, and particularly constraints
13 that might limit our ability to continue to produce and
14 grow our production -- oil and gas production -- here
15 in the U.S. And then, finally, looking at technology
16 and what could be done to improve the safety and
17 resiliency of our system and the efficiency.

18 And so all of these topics are large in their
19 own manner, and then on top of that, you can see here
20 the key questions that were thrown out, so -- from the
21 Secretary as well. And so, again, supply and demand,
22 infrastructure, a number of forecasts. You can imagine
23 with all the changes going on in the markets today on
24 both the supply and the demand side and the impact of
25 concerns over climate change, wide, wide variety of

1 supply and demand forecasts out there that the team
2 reviewed and tried to understand what impacts that
3 would have long-term on U.S. infrastructure. Again, a
4 question about what could be done, particularly the
5 DOE's got some great technical resources, and trying to
6 understand how and what both the industry and
7 Government can do to continue to support the industry
8 with technology.

9 And then, finally, and probably where a lot of
10 the big issues are today is understanding at the
11 regulatory front what can be done to streamline and
12 help with the development of infrastructure, and as
13 well looking at policies in the future.

14 So I would just say underlying this important
15 request, as you just heard from the Secretary, is the
16 tremendous bounty that U.S. oil and gas producers have
17 created for our great nation. I often marvel at how
18 far the oil and gas producers of our nation have
19 brought us both in terms of our economy, low-cost
20 energy, and yet often it feels like we've done
21 something bad rather than something good from my
22 perspective. And I will tell you, from my vantage
23 point, I often wish there was a real, full appreciation
24 for what's been done there.

25 Having said all that, the innovation, the

1 continuous improvement, the free markets and capitalism
2 that we have here at home are very difficult to
3 duplicate around the world. We are very lucky to have
4 the structure and the capitalism because it truly is
5 the drive and innovation that comes with capitalism
6 that has continued the improvement here in the U.S. of
7 oil and gas production. All of that bounty is
8 fantastic, but it really can't be realized unless we
9 can get the product to market in an efficient, safe,
10 and low-cost manner. And that really was the
11 underlying effort of this study.

12 And so we really are in a great position, and
13 we sit and struggle with this issue like it's a
14 problem, and, in fact, it's a huge opportunity for us
15 to be in this position today where we're the nation's
16 largest oil and gas producer and trying to figure out
17 how we can continue to help our economies prosper here
18 at home. But, importantly, as we look forward to the
19 growing and emerging economies that are going to be
20 looking for ways to grow their economies in a low-
21 carbon environment, the U.S. has a tremendous amount to
22 offer, but we've got to be able to get our
23 infrastructure to the coast to help on that.

24 So this study really helps illuminate both the
25 opportunity and the need to provide safer, more

1 efficient means to get our great resources to the
2 markets here and around the world. So as we look at
3 how we develop the structure for this, you can see here
4 the Steering Committee and the four task groups that
5 were developed below that.

6 And so for those of you not familiar at the
7 NPC level, there was about 50 Council members that were
8 assigned to this particular study, and from that, as
9 you can see, we had about nine Steering Committee
10 members engaged in this, and really the role of the
11 Steering Committee members was to make sure that the
12 efforts were adequately resourced and that when there
13 was direction required on stickier issues, that the
14 Steering Committee was there to help guide those
15 difficult directions.

16 And I will tell you, I've been -- I was so
17 lucky to get to have such a great Steering Committee to
18 get to work with, very diligent and very thoughtful
19 engagement on their part to keep the study moving
20 ahead, even at times when there was difficult issues,
21 like how we address climate change within the
22 infrastructure. And I'm going to comment on that very
23 quickly because that's probably one of the most
24 sensitive and delicate issues that the study group
25 faced, was that we know from an infrastructure

1 standpoint, we know that the big challenge to putting
2 infrastructure in is concern over climate change.

3 And the ambiguous nature of NEPA and some of
4 the policies for permitting today allow the indirect
5 impact of climate change to get into every single major
6 permitting project. And so we really chose to not
7 ignore that issue. We could have ignored the elephant
8 in the room, but in reality, that really is the primary
9 issue that causes opposition to infrastructure today,
10 and so we address that, and you'll hear from Amy
11 precisely how we addressed that, but I want to thank
12 the Steering Committee and the whole study Committee
13 for being supportive of the direction that we took on
14 that.

15 I also want to -- I did get the chance to work
16 with Secretary Brouillette as the Cochair for this, and
17 I want to thank him as well. And then finally the
18 leadership of the Coordinating Subcommittee, Amy Shank,
19 Kristen Drew, Shawn Bennett from the DOE, Christopher
20 Freitas, and Jim Slutz from the NPC all did a
21 tremendous amount of effort to keep the study moving
22 ahead with about 300 different study members.

23 The task groups were divided into four task
24 groups, and you can see here Supply, Demand, and
25 Resiliency was the first task group. Infrastructure

1 Mapping and Analysis was second. And that was a bit of
2 a hot potato. That is a major undertaking, and thank
3 goodness to both Exxon and Chevron for bringing the
4 resources to pull that together because that is -- that
5 was a massive undertaking of data and analysis.

6 And then finally the group that we referred to
7 as PSSLO, which is the Permitting, Siting, and Social
8 License to Operate group, and I will tell you that that
9 group was the one that wrestled with a lot of the more
10 difficult issues and the more sensitive issues around
11 climate change and the permitting process around that.
12 And then, finally, the Technology group that looked at
13 a lot of really interesting technologies that could be
14 brought to bear along with a lot of help from the DOE
15 on that.

16 So I want to thank the leaders of these task
17 groups. They did a tremendous job for us and fought
18 through some pretty difficult decisions as we moved the
19 study forward.

20 And now you can see why, this is the diversity
21 of the study teams. You can see here about 300
22 members, and you can see less than half of those
23 working in the oil and gas business directly, and so
24 very wide variety of individuals. Most of the major
25 oil and gas companies were certainly included in this,

1 a lot of state and federal government experts, as well
2 as NGOs, all coming together to try to put something
3 together that allows us to move jointly ahead rather
4 than continue to have a very divided perspective on how
5 we permit and install infrastructure that we all
6 recognize is needed to move our great nation ahead.

7 So that brings me to the report structure, and
8 you can see here it's pretty simple. This is centered
9 around the four task groups that I just provided, a
10 transmittal letter that will go to the Secretary as a
11 cover to this document, a preface executive summary
12 that's a pretty lengthy document by itself, and the
13 body of the work, which I will tell you has a very
14 large thud factor to it, but it is an amazing document.
15 And if you take the time to distribute that around your
16 organizations as that comes out, it's a tremendous
17 reference document, a lot of great recommendations and
18 findings in it, but as well there's some tremendous
19 reference that's been pulled together in that document.

20 So with that, I just wanted to say a big
21 thank-you and introduce this, and I'm going to
22 introduce Amy Shank, who next time I come looking for
23 somebody to take on a little special extra project,
24 she's going to be running, but has done a fantastic
25 job, and I really appreciate her leadership.

1 (Applause.)

2 MS. SHANK: Good morning. Wow, I can't tell
3 you how glad I am to be here. I want to start off by
4 thanking the NPC members and staff. Throughout this
5 process, I've been extremely impressed by the
6 enthusiasm and passion of Jim Slutz, John Guy, and
7 Marshall Nichols. And I'm thankful for organizations
8 like the NPC that exist for the sole purpose of
9 collecting diverse viewpoints and providing perspective
10 and advice to the Government.

11 I want to thank Alan for providing me this
12 opportunity to lead this important study and express
13 how honored I am to be the one up here that's
14 communicating the work product of so many amazing
15 people. I want to thank the DOE professionals -- many
16 of them are sitting in the back of the room -- who sat
17 on every level of the Committee, and they provided such
18 amazing and valuable feedback and resources. We
19 couldn't have done it without them. Of course, they
20 all had to be there, so...

21 I want to say thank you to all of the
22 companies and organizations who gave generously of
23 their most valuable resource -- the time and talent of
24 their people. I don't have time to thank everyone, and
25 you're probably glad about that, but I do want to

1 acknowledge a few individuals before jumping into the
2 presentation.

3 I want to start with Shawn Bennett, the Deputy
4 Assistant Secretary for Oil and Natural Gas for the
5 DOE. So Shawn was my Government Cochair on the
6 Coordinating Subcommittee, and he was by my side for
7 every meeting. During that time, I developed a
8 tremendous respect for him, his knowledge, and
9 experience, as well as his capacity to synthesize large
10 amounts of information. I'm convinced Shawn read every
11 word, all 630 pages, because he provided feedback on
12 almost all of it.

13 I'd like to thank the individuals who chaired
14 our four task groups and helped to coordinate the
15 development of the executive summary, and I'm going to
16 introduce them individually. I'm going to start with
17 the Supply and Demand chapter that was chaired by Paul
18 McNutt from Conoco and his Government Cochair, Ken
19 Vincent.

20 Next is Infrastructure Resiliency, Mapping and
21 Analysis that was led by Lydia Johnson and Brooke
22 Harris from Exxon, along with Rich Cain from Chevron,
23 and Doug Macintyre, who is their Government Cochair
24 from the DOE.

25 The Permitting, Siting, and Social License to

1 Operate task group was led by Maria Dunn from
2 Phillips66 and Mark Gebbia from Williams, along with
3 their Government Cochair, Christopher Freitas.

4 And then there was the Technology Advancements
5 and Deployment task group that was led by Jay Churchill
6 and Doug Sauer from Phillips66, along with their
7 Government Cochairs, Jared Ciferno and Eric Smistad
8 from the National Energy Technology Laboratory at the
9 DOE.

10 And then there was Tom Eizember, who's retired
11 from Exxon, and you might recognize his name. He's
12 worked on several of these studies, and he had the
13 daunting task of authoring the executive summary.

14 And, finally, I want to acknowledge Kristen
15 Drew from Williams. Kristen was my assistant on the
16 study, but that title doesn't begin to describe the
17 level of her contribution. Through Kristen's tireless
18 efforts, immense dedication, and superb organization,
19 she made sure all those hours spent in all of those
20 windowless conference rooms were the most efficient and
21 productive that they possibly could have been, all
22 while contributing her own experiences and knowledge to
23 the study. So for that and everything else that you
24 did, Kristen, I want to say thank you.

25 So in May of this year, smack dab in the

1 middle of the study, I took a three-day weekend, and I
2 went to Panama City Beach, Florida. I was facing a
3 half-Iron-Man triathlon, which anybody who knows me
4 will tell you is what I do when I'm not working. Now,
5 normally, Panama City Beach is a beautiful place, and
6 it's a great place for family vacations. You can build
7 sand castles and drink little umbrella drinks for
8 hours. It has sugar sand beaches and light ocean
9 breezes and pretty mild temperatures, at least that's
10 what the website said when I signed up.

11 But on this weekend, there were thunderstorms
12 in the area, and at 6:00 a.m. on that Saturday morning,
13 I found myself standing on the beach with about 2,000
14 other athletes facing five-foot waves, riptide
15 warnings, high winds, and unseasonably high heat and
16 humidity. And even as I faced those challenging
17 conditions, I knew that not competing was not an
18 option. I mean, I'd paid a ton to be there. I'd
19 shipped my bike, so there was no doubt that the day was
20 going to be difficult, but I trusted my training, and I
21 knew that I wasn't in it alone.

22 The only way through it was forward. So when
23 it came my turn to start the race, I scanned the crowd
24 and found my husband. I gave him the thumbs-up, and I
25 headed into the water. That experience reminds me of

1 the challenges that we faced on this study. We were
2 charting a course for oil and gas infrastructure into
3 the 21st Century. The conditions for permitting in
4 several regions are very hard, and our future energy
5 needs were hotly debated.

6 The pathway to reconciling these frictions
7 appears to be difficult and sometimes even impossible,
8 but those of us in the industry, our stakeholders, and
9 our government partners are in this together. It's
10 going to be a journey that we take one step at a time,
11 and the only way through it is forward.

12 And just like how I started that day on Panama
13 City Beach, facing the three intimidating elements of
14 waves, winds, and heat, the study identified three
15 overarching challenges. First, we must modernize the
16 National Environmental Protection Act and its
17 associated permitting processes. We must develop a
18 national climate policy that considers today's social
19 conscience. And we must draw on smarter policies,
20 better technologies, and the intensive engagement with
21 stakeholders that's needed to meet our nation's growing
22 energy demands. And we have to do all of this while
23 keeping our economy strong.

24 "Dynamic Delivery: America's Evolving Oil and
25 Natural Gas Transportation Infrastructure," analyzed

1 multiple supply and demand scenarios. Can we go to the
2 next slide?

3 So we analyzed multiple supply and demand
4 scenarios which provided the foundation for our
5 analysis and our recommendations. You won't be
6 surprised, as Secretary Brouillette and Alan Armstrong
7 both indicated, that the U.S. is now the largest
8 producer of oil and natural gas in the world and that
9 it's provided phenomenal and historic economic,
10 environmental, and reliability benefits.

11 You might, however, find it surprising that at
12 the same time that the U.S. was seeing this exponential
13 growth in oil and gas development that our overall CO2
14 emissions decreased by 15 percent. Now, this is
15 primarily due to natural gas replacing coal for
16 electricity generation, but there's also the benefit of
17 some technology advancements.

18 One of the most surprising findings, and the
19 one that I use in the elevator speech that I give
20 anytime anybody asks me what I've done for the last 18
21 months, is that no matter what scenario you choose,
22 even the low-carbon, high-renewable scenario, America's
23 need for oil will remain significant, and the demand
24 for natural gas will continue to grow well into 2040.

25 There's no doubt that the shale revolution has

1 been huge. It wasn't that long ago, and I think we can
2 all remember, when the prices at the pump were at all-
3 time highs, and the industry was scrambling to build
4 LNG import facilities. But then everything turned on a
5 dime. Natural gas and gasoline prices plummeted, and
6 the industry all of a sudden found themselves in a
7 situation where they had to try and figure out how to
8 turn all those import facilities into export
9 facilities. And some of them hadn't even been
10 commissioned yet.

11 If history has taught us anything it's that
12 when it comes to oil and gas supply sources the only
13 constant is change. Tomorrow's supply centers will
14 most likely not be where they are today. American
15 ingenuity will continue to surprise us. And while our
16 existing oil and natural gas infrastructure is
17 amazingly flexible and resilient, the study shows that
18 it has flexed just about as much as it can.

19 More infrastructure will be needed if we're
20 going to allow these benefits to continue. Connecting
21 new supply and demand centers in the future will hinge
22 on the industry's ability to secure significant public
23 and private investment that's needed to expand
24 pipelines, ports, rail, and inland waterways. When new
25 infrastructure is delayed, bottlenecks form or worsen,

1 such as what we're already seeing today in New England,
2 as well as in the Port of Houston, also in the form of
3 export capacity limitations.

4 These bottlenecks result in regional pricing
5 discrepancies, fuel shortages, and the missed
6 opportunity for all U.S. citizens to benefit from the
7 lowest possible energy alternatives. And even when we
8 have adequate investment and projects that are already
9 permitted and shovel-ready, the study found that we are
10 currently experiencing skilled labor shortages, and
11 those shortages will increase in the future, providing
12 yet another challenge.

13 The value of our existing infrastructure is
14 impressive. Oil and gas infrastructure accounts for
15 10.3 million jobs that provides \$714 billion in income
16 and \$1.3 trillion in total economic benefit, along with
17 billions and billions in tax revenue. This graph shows
18 that as production has grown, the cost of utilities and
19 ultimately the cost to customers has decreased.

20 And you can see here that the price impact of
21 the shale boom has driven energy -- the energy costs of
22 goods production down in almost every sector, anyway
23 from 2 to 8 percent. But even with all the societal
24 benefits that we highlight in the study, projects are
25 being delayed and sometimes stopped entirely. And the

1 permitting process has become unnecessarily
2 complicated.

3 In order to maximize infrastructure value, we
4 must find a way to minimize the negative impacts on
5 interstate commerce brought on by friction between
6 federal and state interests and preferences. The NPC
7 recommends that all levels of government should engage
8 in constructive dialogue about the overall economic
9 benefits from the nation's energy resources. And at
10 the same time, industry must engage with stakeholders
11 and work to minimize impacts and risks.

12 In order to maximize economic contribution of
13 ports and inland waterways, the NPC recommends that
14 Congress fully appropriate the revenue coming into the
15 Harbor Maintenance Trust Fund and the Inland Waterway
16 Trust Fund to restore and maintain all of our U.S.
17 ports and waterways to their authorized dimensions and
18 expand where needed.

19 To ensure a skilled workforce is ready and
20 able to build and maintain the infrastructure that we
21 need, the NPC recommends that the federal government,
22 states, secondary schools, and industry work together
23 to promote vocational career education and advocate for
24 registered and accredited apprenticeship programs.

25 This graphic depicts one of the many supply

1 chains that we studied and illustrates that it takes
2 many types of infrastructure working together to
3 provide the resilient systems that we enjoy today. And
4 I'll again use the example of the shale revolution to
5 illustrate this point. Up to now, our flexible,
6 resilient, interdependent infrastructure systems have
7 combined with technology improvements to facilitate the
8 development of the tight geologic formations that
9 previously had been inaccessible, bringing tremendous
10 benefits to consumers. And that need for flexible and
11 resilient infrastructure is not going to go away.

12 Okay, so you can't read this chart. It's got
13 lots of timelines and really tiny print, and we
14 actually knew that that was going to be the case, and
15 it was actually on purpose. So I'll give you a second
16 to soak in the complexity. This chart represents what
17 can be required in the permitting process for a linear
18 project like a natural gas pipeline. And it's included
19 in the study to highlight our ninth key finding that
20 overlapping and duplicative regulatory requirements,
21 inconsistencies across multiple federal and state
22 agencies, and unnecessarily lengthy administrative
23 procedures have created a complex and unpredictable
24 permitting process. Exhibit A.

25 The Dynamic Delivery report includes several

1 recommendations to improve what I call the spaghetti
2 mess, but the top three are first the need for better
3 coordination between federal and state governments, and
4 we recommend the use of a nonpartisan, non-for-profit
5 association of state and territorial environmental
6 agency leaders called the Environmental Council of
7 States to facilitate a common agreement between federal
8 and state Environmental Protection Act review.

9 Second, the NPC recommends the development of
10 a master model structure for state permitting and
11 coordinating permit approvals. Having 50 different
12 permitting pathways is difficult to navigate, to say
13 the least. And we must have better collaboration for
14 our linear projects like pipelines and railroads.

15 It would be extremely helpful if states
16 identified one single point of contact for permitting
17 coordination between impacted state and federal
18 agencies. Some states already do this, and it's shown
19 to be beneficial to both the states and the project
20 developers. Because the U.S. Army Corps of Engineers
21 plays a key role in almost all infrastructure projects,
22 we have four recommendations impacting them, and
23 they're all designed to help a highly decentralized
24 agency provide more consistency across their districts.

25 The recommendations are a bit technical, but

1 they generally involve identifying lead districts,
2 implementing rulemaking to provide more consistency
3 across those districts, the establishment of a single
4 point of contact for each major project, and providing
5 more certainty around when the Corps requires notice
6 and comments on federal environmental laws before
7 construction begins.

8 Now, we recognize that the Executive Branch
9 and Congress have been working together to try and
10 improve the permitting process for years. And the new
11 One Federal Decision is something that we'd like to see
12 continued, although it could be improved and then
13 possibly codified. One Federal Decision is an
14 Executive Order designed to reduce the environmental
15 review time for major infrastructure projects to no
16 more than two years. Congress passed the FAST-41 Act
17 and created FPISC, which is an interagency permitting
18 committee designed to help expedite projects.

19 The NPC finds that these bipartisan efforts
20 present positive steps, but they could be improved
21 through more effective consultation with industry and
22 others regarding what's working and what's not. So the
23 NPC recommends that Congress reauthorize FAST-41 for
24 another seven years but with the following
25 improvements. We recommend expanding it to include all

1 federal energy infrastructure projects. We'd like to
2 see the inclusion of incentives for states to comply.
3 FPISC should be utilized to get states to do their
4 reviews concurrently with the federal reviews. And
5 once the process has deemed to be working well, we'd
6 like to see the sunset provision eliminated.

7 Another key to successful siting,
8 construction, and long-term operations of oil and gas
9 infrastructure is effective stakeholder engagement.
10 The Permitting, Siting, and Social License to Operate
11 Task Group held multiple listening sessions with
12 various stakeholder groups and Indian tribes with the
13 idea to identify current gaps and best practices.

14 As a result of these sessions and our
15 research, the NPC recommends that infrastructure
16 companies better utilize best practices for early and
17 enduring engagement with all impacted stakeholders, all
18 individuals, groups, and governments. Companies should
19 provide education and increase awareness regarding the
20 needs and benefit of infrastructure and how concerns
21 are addressed through the safe design, construction,
22 and operating practices. And they should work together
23 to encourage the adoption of policies for responsible
24 energy development. Our industry really does have a
25 good story to tell, and we should do a better job of

1 telling it.

2 One particular set of stakeholders that have
3 been increasingly active are the individuals and groups
4 that connect the development of oil and gas
5 infrastructure with the negative impacts on climate.
6 The NPC recognizes the dual challenge of providing
7 affordable energy while addressing the risks of climate
8 change. And while we share the concern that climate
9 change is a serious issue requiring action, we believe
10 that fighting individual projects in the courts is an
11 ineffective way to get the change that's needed.

12 The NPC recommends that all oil and gas
13 infrastructure companies strive for outstanding
14 environmental compliance records and continue to work
15 to reduce emissions from their operations. We list
16 several programs in the study that the industry can use
17 to demonstrate and highlight their performance and
18 progress in this space.

19 But good environmental stewardship should be a
20 minimum expectation. We have to recognize that the
21 voices about climate change are becoming stronger and
22 have been successful in challenging, delaying, and
23 sometimes even stopping infrastructure projects. The
24 trend is expected to not only continue but to increase
25 in intensity as long as litigating the permitting

1 process is seen as the only way to drive the policy
2 debate.

3 If we truly want enduring improvement in our
4 permitting processes, Congress should clarify that
5 greenhouse gas assessments under NEPA for oil and gas
6 infrastructure projects be confined to emissions that
7 are proximately caused and reasonably foreseeable. And
8 in parallel, Congress should enact a comprehensive
9 national policy to reduce greenhouse gas emissions and
10 seek to harmonize federal, state, and sectorial
11 policies that enhance efficiency and effectiveness.

12 At this point, I'd like to talk about
13 technology and its link to safe, environmentally
14 conscious transportation operations. When Alan
15 reviewed the study demographics, you might have noticed
16 that over 100 individuals contributed to the technology
17 advancements and deployment chapter. That's over twice
18 the number of people who worked on any of the other
19 chapters, and there's a good reason for that.

20 The oil and natural gas transportation
21 industry continues to drive vast improvements through
22 all transportation modes, including pipelines, rail,
23 truck, and marine. So it took a lot of folks weighing
24 in on the good things that are already happening and to
25 help identify the best opportunities for future

1 development.

2 Through the hard work of those 126 people, we
3 verified what we already knew, that oil and natural gas
4 arrives at its destination with a high degree of
5 safety, reliability, and environmental performance
6 nearly 100 percent of the time. But incidents have
7 happened, and we can do better. The oil and gas
8 infrastructure companies are dedicated to continuous
9 improvement and are working to find a path to zero.

10 The NPC found that advancements in new
11 technology contribute greatly to the industry's safety,
12 reliability, and environmental performance, and
13 overcoming challenges and barriers to new technology
14 development and deployment would help accelerate these
15 improvements. The NPC makes several actionable
16 recommendations focused on collaboration between
17 federal agencies and in some cases industry. Four of
18 those are highlighted in the executive summary.

19 First, the Department of Transportation should
20 create a faster way for new technology to be adopted.
21 The DOE, the EPA, and the U.S. Coast Guard can all be
22 helpful in this process as well. Second, we should be
23 more willing to test drive new technologies through
24 pilot programs. Congress should authorize DOT with the
25 support from industry to help develop these programs.

1 Performance rules should also be tested to
2 allow more flexibility for companies to demonstrate
3 that they are enhancing public safety through the
4 application of new technology, especially in the area's
5 pipelines, storage, and LNG facilities where the
6 evidence already shows that this is the case.

7 Third, the NPC recommends the establishment of
8 research consortiums to prioritize promising research
9 opportunities, establish better technology readiness
10 processes, and prioritize ways to field test new
11 technologies. There is a role for oil and gas
12 companies, along with the DOT, DOE, and the EPA, in
13 this effort.

14 And, finally, FERC and state agencies should
15 work together with DOT, DOE, and others to promote
16 laws, regulations, and public-private partnerships that
17 support cost recovery for oil and natural gas pipeline
18 safety research.

19 As a part of our investigation into
20 technology, the Secretary specifically asked us to
21 evaluate the risk of cyber attacks on our oil and
22 natural gas infrastructure. In doing that, we found
23 that cyber threats to energy infrastructure control
24 systems are increasing, and security protections are
25 being challenged due to increasing connectivity and

1 growing malicious cyber activity.

2 To counter those risks, cybersecurity
3 protection should be advanced in three ways. The
4 industry, trade associations, and the Federal
5 Government should work together to maintain up-to-date,
6 performance-based cybersecurity management standards to
7 be adopted by industry. These threats are evolving
8 quickly, and we have to maintain up-to-date playbooks.

9 We recommend that the Departments of Homeland
10 Security and Energy increase their capabilities and
11 resources so that they can conduct independent, secure
12 cybersecurity assessments and audits, prioritized on
13 critical infrastructure.

14 And, third, we need better collaboration on
15 the research and development agenda in the area of
16 cyber threats. The DOE, working with industry, in
17 concert with the Departments of Defense, Homeland
18 Security, and Transportation, should establish a
19 collaborative process and identify and prioritize
20 research and development aimed at sector-wide
21 protection against nation-state and advanced threat
22 actors.

23 So in conclusion, when it comes to the status
24 of our oil and natural gas infrastructure, I find that
25 our nation is in a place not unlike where I found

1 myself on that beach back in May. The waves were huge,
2 and the water was scary. Before I even started
3 swimming, I saw people throwing in the towel and being
4 brought back to shore. Once I got out there, I noticed
5 several people were hanging onto buoys. They were
6 unable to move forward or back. They were just waiting
7 to be rescued.

8 And as I made the final turn at that big, red
9 buoy and headed to shore, I paused to yell some words
10 of encouragement to the people who were hanging on
11 there. I tried to rally them because I knew that we
12 could do it together. And on the way back in, I could
13 feel the current as it was pushing me forward but then
14 pulling me back. And there was a period of time -- it
15 seemed like a really long time -- that I wasn't moving
16 at all.

17 But I kept repeating the mantra in my head,
18 just keep swimming. And eventually I started passing
19 the smaller buoys again one by one, and before I knew
20 it, I was crawling out of the water and climbing onto
21 my bike to complete the race. I started the day with a
22 daunting task in front of me and lots of uncertainty as
23 to how it was going to go. I was aware that there were
24 still plenty of challenges ahead, but after the swim, I
25 knew I was making progress.

1 The oil and natural gas infrastructure
2 industry is in a race of its own, and it's not going to
3 be easy. It's going to be challenging to do what's
4 right for the environment, the economy, and the
5 American people, and it's a formidable balancing act,
6 but this study provides the NPC's best advice on how to
7 succeed in that endeavor.

8 Thank you so much for your attention and your
9 interest.

10 (Applause.)

11 MR. ALAN ARMSTRONG: Okay, thank you, Amy, and
12 I think I was the -- I think I was the inaccurate
13 weather forecast in that story on Amy's part.

14 I'll just now open it up for discussion on any
15 of the content from the members of the NPC and see if
16 there's any desire to discuss that while we've got Amy
17 and her team available to help out with that. So any
18 discussion or questions on the study?

19 AUDIENCE: How do we change New York's
20 climate?

21 MR. ALAN ARMSTRONG: Well, you know, Williams
22 is at the forefront of that issue, and I would just say
23 that I think it's very evident that there's a big
24 opportunity in New York, both in terms of into New York
25 City to reduce emissions in New York City and to

1 provide growing economy. So it really is one of the
2 first times, frankly, that people are really starting
3 to make the connection between a pipeline and that
4 little blue flame and low-cost heat in their homes.

5 And so actually I think there's some real
6 positives to come out of that because historically a
7 lot of consumers have thought about pipelines as
8 something, just a tool of the oil and gas industry, and
9 they don't really connect it to them at the retail
10 level and the consumer level. And so particular
11 projects that are going on up there right now are
12 really indications of that, and so I think the local
13 real estate developers, the folks trying to develop the
14 economy there in New York City, are getting very vocal
15 on that issue, and I think that's exactly what we need
16 to do to draw attention to the approvals for that.
17 Thank you for that question.

18 Yes, Jim.

19 AUDIENCE: I'm wondering if the Committee
20 looked at hydrogen at all, just with some of the
21 growing discussion around injecting low levels of
22 hydrogen into the existing gas pipeline network, how
23 that might influence these recommendations.

24 MS. SHANK: So we didn't look at it all that
25 much. I guess I would rely on our technology

1 advancements group to confirm that; however, I did hear
2 it mentioned quite a bit in the CCUS study, so I'm
3 going to punt that to our CCUS colleagues because
4 you'll get a little bit of that in that study.

5 MR. ALAN ARMSTRONG: I can tell you that
6 within the infrastructure companies that is certainly
7 something that's on the horizon and something that's
8 very interesting because it allows for congruence of
9 concern over carbon and a low-carbon environment, along
10 with excess renewable power when time for it's not
11 needed, so it's a really powerful way of storing energy
12 and certainly something that we as Williams are looking
13 at.

14 Other questions?

15 (No response.)

16 MR. ALAN ARMSTRONG: Seeing none, Greg, we
17 would like -- I'd like to move that we -- to the full
18 Council and on behalf of the Committee that was formed
19 for the study that we adopt the report subject to the
20 final editing and approve making the study's topic
21 papers available on the NPC website, and so I will make
22 that motion and look for a second.

23 MR. GREG ARMSTRONG: Thank you, Alan and Amy,
24 Kristen, Shawn, and all the many others that
25 participated in the study and for the leadership just

1 in this important work. It's assembled what I think is
2 truly a very -- as you can tell -- comprehensive
3 report, many pages, many, many hours.

4 I have a motion that the NPC approve this
5 report subject to final editing, approval of the
6 transmittal letter to Secretary Brouillette, and to
7 make this study's numerous topic papers available to
8 the public through the NPC website. Can I have a
9 second?

10 AUDIENCE (Off microphone): Second.

11 MR. GREG ARMSTRONG: We got a second. Are
12 there any additional discussion?

13 (No response.)

14 MR. GREG ARMSTRONG: If not, we have a motion.
15 I'd ask all those in favor please say aye.

16 (Chorus of ayes.)

17 MR. GREG ARMSTRONG: And any opposed say nay.

18 (No response.)

19 MR. GREG ARMSTRONG: With that, the motion
20 carries and the report is adopted without objection,
21 and thank you very, very much for that.

22 We'll now move on to our next report to be
23 considered. It's from the NPC Committee on Carbon
24 Capture, Use, and Storage. As with the Infrastructure
25 study, many members of the Council provided their

1 significant leadership and personnel to prepare the
2 response and, in fact, in the case of John, he extended
3 his retirement, I think, about eight or nine months. I
4 think he's going to celebrate today that retirement.

5 John Minge chairs this committee on CCUS, and
6 he'll lead off the presentation as a result of their
7 efforts. John, please. And I'm also glad that he's
8 still talking to me.

9 MR. MINGE: Thanks, Greg, and a good morning,
10 everybody. Okay, so great to be here. I'm going to
11 talk about the carbon capture study that we've worked
12 on over the last 18 months. So the title we came up
13 with is Meeting the Dual Challenge: A Roadmap to At-
14 Scale Deployment of Carbon Capture, Use, and Storage.
15 The Secretary of Energy requested us to study and to
16 define the potential pathways for integrating CCUS at
17 scale into the energy and industrial marketplace.

18 The Secretary didn't define what "at scale"
19 meant. And so we actually got to do that, and I'll
20 tell you what that is. But he asked us to consider
21 technology options, readiness; the market and the
22 market dynamics, the economics and financing; cross-
23 industry integration and infrastructure; the policy,
24 legal, and regulatory issues and barriers that are out
25 there; the environmental footprint, and public

1 acceptance. And we've done all that.

2 If you broke it down, there's really five key
3 questions that the Secretary asked us to look at, and
4 these are listed on the slide. So he wanted us to look
5 at the energy demand and -- both energy demand and
6 forecast but also the emissions forecast. And then
7 what are the environmental benefits that come from the
8 application of carbon capture, use, and storage. You
9 know, what are the R&D, technology, infrastructure, and
10 economic barriers that must be overcome to deploy CCUS
11 at scale? How should success be defined? What are the
12 actions that should be taken to establish a framework
13 that guides public policy and drives investment from
14 the private sector? And what are the regulatory,
15 legal, liability, and other issues that need to be
16 addressed?

17 You know, I said to other groups that when I
18 read this letter over and over again, setting out the
19 request from the Department of Energy, that as you read
20 it as I read it, you could feel a sense of frustration
21 that came from the Department of Energy. You know,
22 after all, they had been studying this, investing in
23 carbon capture, use, and storage for 20, 25 years.

24 And if you looked at the results, the U.S. is
25 clearly a leader. The U.S. -- and Cindy will cover

1 this -- there's all kinds of reasons that we can be
2 hugely proud of the success that we've had in the
3 United States of America with carbon capture. And it's
4 primarily, though, the only value chain that really
5 works is CO2 to EOR. And if you look at the scale,
6 it's pretty small: 25 million tonnes per annum.

7 And for those of you that don't know all the
8 numbers, if you look at the world's -- the global
9 emissions that come from fossil fuels and industry,
10 it's about 36.8 billion tonnes of CO2 per year. The
11 U.S. portion of that is about 5.3 billion. And so if
12 you look at how -- you know, the amount of emissions
13 that are stored or abated through carbon capture today
14 after 25 years of work, it's 25 million, so less than a
15 half of a percent of the yearly emissions, so pretty
16 small scale.

17 The other thing, you know, as I came in, I was
18 no expert. No expert at carbon capture, use, and
19 storage. I could spell it. I knew of it. I knew a
20 little bit about it, but not very much. And so one of
21 the first things you do is you -- I did is start
22 reading the reports. And I read a lot of reports, and
23 they are thick, and many of them are boring. And many
24 of them are reports that I found myself wanting to
25 understand more. I wanted to understand the what, the

1 why, how, the detail.

2 And I found myself a bit frustrated. And
3 there are many, many of them, and I read a lot. And I
4 came away looking at, from the DOE perspective, you got
5 a stack of reports like this, but there's only 19
6 projects in the whole world that are at scale. Ten of
7 those are in the United States, 25 million tonnes per
8 annum. And it's kind of that old adage of, you know,
9 big hat, no cows.

10 So our job was to figure out what we needed to
11 do for wide-scale deployment and to grow this and to
12 actually put together a plan. So we have -- the group
13 that came together have written a comprehensive report.
14 I believe it's the most comprehensive report ever
15 written on this subject, and many other people who have
16 worked on this believe the same way.

17 It covers these five areas. It provides the
18 energy and emissions landscape. It goes through a
19 detailed cost analysis and provides economics on CCUS
20 across all of the industrial sectors. It really dives
21 into the enabling factors and what is existing policy
22 today versus what needs to come. It goes into the
23 technology. We covered it in five areas: capture,
24 transport, storage, we had a separate section on EOR,
25 and use. Very well written.

1 And, finally, the Secretary asked us to pull
2 all this together into a roadmap, into a plan that
3 would actually drive wide-scale deployment of CCUS. We
4 defined wide-scale deployment of CCUS at about 500
5 million tonnes per annum, so 20 times what we have
6 today. If -- which is about 10 percent of the U.S.
7 current emissions. And we came at it different ways,
8 but one of the -- one of the things that I was
9 interested in is to see the most recent IEA study that
10 just came out a couple weeks ago. And within that
11 study, they have a lot of different scenarios, but one
12 of their scenarios is a sustainable development case.
13 And within that case, there's a number of wedges:
14 efficiency, renewables, nuclear, but when you get down
15 -- and then they have a wedge for carbon capture, use,
16 and storage. And the wedge out to 2050 is 9 percent.
17 Well, 9 percent of 5 billion would be 450 million
18 tonnes per annum in America. We're coming up with 500,
19 so it's in the game, and it's close.

20 When you look at that, and I'm going to -- I
21 have a bullet point on this later, but most people --
22 in fact, most people in our study, if you said 500
23 million tonnes per annum, yeah, do you know what that
24 means in terms of the amount of infrastructure, and
25 most people don't. Well, that is 13 million barrels a

1 day of capacity, okay? And we have in our production
2 in the United States of America today is about 12 and a
3 half, growing to 13 million, so we are talking about
4 infrastructure requirements that equal the amount of
5 production that we have in the United States. It's
6 huge. So it is a big, big opportunity. It's a big,
7 big challenge.

8 Now, one of the things the Steering Committee,
9 when we got together early on, they gave me some really
10 good guidance. They said we're not going to write a
11 report on climate. That's not what we've been asked to
12 do. We're going to talk -- but we, as an industry,
13 respond to markets. And markets are driving demand for
14 lower carbon products. They are driving demand for
15 lower emissions, but we all recognize that the world's
16 energy demand is going up, going up 25 to 30 percent
17 over the next 20 years, and it's going up because of
18 population growth and people are moving out of poverty
19 into the middle class.

20 At the same time, there's more and more demand
21 for lower emissions to combat the risk of climate
22 change. And so that's the dual challenge, and we kind
23 of center the rationale and the emissions and energy
24 landscape around the dual challenge and the fact that
25 markets are driving consumer behavior. Governments are

1 taking action, and we in the United States of America
2 are blessed in so many ways, and we have a real
3 opportunity to be -- to not only -- to build on our
4 leadership position that we have today.

5 On the economic side, Cindy's going to cover
6 this in detail, but we spent weeks, if not months,
7 doing very, very detailed work on the costs of carbon
8 capture, use, and storage. Why? It's the biggest --
9 the economics are the fundamental biggest reason we
10 don't have very many cows, okay? So it's because
11 people can't make money based on the incentives that
12 are available, but also the barriers that exist within
13 the regulatory front or on the legal side and whatnot.
14 And so really understanding the fundamental economics
15 was absolutely central to what we have done, and the
16 team have done a tremendous job of that at pulling
17 together, looking, and doing detailed work using a cash
18 flow model to actually -- to determine what incentives
19 are going to be needed to drive investment.

20 The enabling factors, you know, beyond the
21 executive summary, read Chapter 3. It will -- it does
22 go to the what, the why, the how, the who, and by when.
23 It is a -- you know, and we set ourselves that standard
24 that we really want to explain to policymakers the
25 rationale, the reasoning, so that when we get into a

1 debate we actually have real meat to be able to talk
2 to, and it just doesn't go over people's heads. And I
3 think that -- the team have done a tremendous job
4 there.

5 On technology, we wanted one place where we
6 could cover -- where people could go that wanted to
7 learn, that could read some well-written chapters on
8 each of the technology, the five areas that I talked
9 about later, but then we also really say that we have
10 to have more investment in technology to drive the
11 costs down out into the future. That's the key
12 purpose. And Cindy will also cover that, but we're
13 recommended a tripling of the budget that goes into R&D
14 to drive those costs down out into the future.

15 Finally, we have pulled all of this together
16 and put it into a roadmap. We have a prioritized plan
17 that has three phases that goes from zero or from where
18 we are today to 500 million tonnes per annum. It's
19 over -- from today for 25 years. And it lays out in
20 detail across the financial side, the regulatory side,
21 the legal side, but also public support and all those
22 four areas in a lot of detail.

23 You know, we believe it's the most
24 comprehensive report written, and we believe that it
25 will be used for years and can be used, regardless of

1 political parties in the White House or within the
2 Department. We think this is good for all seasons and
3 will be a toolkit that can be used for many years.

4 So how did we organize? Much like Alan. And
5 I just -- I don't have a slide listing everybody's
6 name, but you can see the same structure with the Study
7 Committee, the Steering Committee, the Coordinating
8 Subcommittee that Cindy led, where the bulk of the work
9 gets done, and then you see those five groups below.

10 I just do want to recognize, though, the
11 Steering Committee who gave me a ton of work. Christi
12 Craddick, I saw her last night, but I haven't seen her
13 this morning. There's Christi. Jack Futcher from
14 Bechtel. I didn't see Jack. Joe Gorder, Valero. Kim
15 Greene from Southern. Yep, good to see you.

16 Vicki, I don't know if Vicki made it, Vicki
17 Hollub? Yep. Paal Kibsgaard. I know J.F. is sitting
18 in for Paal. Richard Newell. Where's Richard? You
19 were here last night. There you are, Richard. You're
20 supposed to be sitting up front. Gretchen Watkins. I
21 haven't seen Gretchen yet today. And then Darren Woods
22 right up front. So thank you, guys. We couldn't have
23 done it, I couldn't have done it without you, our team.
24 Cindy and the team couldn't have, the steer that you
25 gave was fantastic.

1 Much like the other study, our -- we had --
2 this was all pulled together with a hugely diverse
3 group of people. And only about a third of the people
4 that worked on this study came from oil and gas. And
5 we held everybody together. Nobody walked. The
6 environmental NGOs didn't walk; academia didn't walk.

7 We didn't agree on everything. We did not
8 agree on everything, but we agreed on most things. And
9 places that were tough, we didn't punt the ball down
10 the field, give up on it, put some high-level, wishy-
11 washy thing that no one could understand. We actually
12 dealt with it and tried to determine what we could
13 agree on. And in most cases, we really moved the ball
14 down the field, and I'm real proud of the team for
15 doing that.

16 And we also -- the request of the Secretary
17 was for us to engage the National Coal Council, and we
18 did that. And we had good overlap within our team,
19 within Cindy's team, because we had over 300 people
20 that were participating from 110 different companies,
21 but we had a lot of overlap with companies that are
22 also on the National Coal Council.

23 So if I were to -- I decided, okay, what's a
24 summary of this, and what would it mean if we were able
25 to deploy CCUS at the scale that we're talking about,

1 the plan? What would happen if we could actually
2 deliver this plan, this roadmap? Well, we'd be moving
3 from 25 to 500 million tonnes per annum. Our
4 infrastructure build-out would be equivalent to 13
5 million barrels a day. We'd have an incremental
6 investment of \$680 billion. And we would have created
7 236,000 jobs and added \$21 billion a year to GDP. That
8 seems like a lot of cows to me, and that would be small
9 hat, big cows, I would say.

10 Anyway, what's it going to require? It's
11 going to improve policies. What we have today won't
12 cut it. It's why people haven't been investing. It's
13 very clear, and we lay that out. We're going to need
14 to have increased financial incentives, and Cindy will
15 go through that and walk through the cost curve and
16 give you the reason why.

17 Regulations are going to need to be
18 simplified, and barriers are going to have to be broken
19 down, and we're going to have to have both with the
20 agencies doing some work, but also legislation,
21 Congress. We're going to need broad-based innovation
22 and technology development, really targeted at driving
23 down the cost out in the long-term future. That's
24 going to be needed.

25 We're going to have to have strong

1 collaboration between the industry and government.
2 And, finally, we're going to have to -- out in the
3 public, we're going to need to build more support and
4 more understanding and confidence that CCUS is a safe
5 and reliable method and manner to go forward to meet
6 the dual challenge.

7 So with that, I'm going to hand over to Cindy.
8 Cindy, you and your team have done an amazing job, and
9 I look forward to hearing the findings and
10 recommendations.

11 (Applause.)

12 MS. YEILDING: Thank you, John. Next, on
13 behalf of the over 300 participants of the NPC CCUS
14 team, we'd like to share an overview of the context,
15 findings, and recommendations of this report. So John
16 and Amy both teed up the dual challenge, but we just
17 wanted to remind you that we're facing this fundamental
18 dilemma as a society, which we refer to as the dual
19 challenge, with every indicator pointing to a growing
20 global population, and expansion of relative prosperity
21 worldwide, the demand for energy is on an upward
22 trajectory. It's also clear that carbon dioxide, or
23 CO₂, emissions are on the rise.

24 The dual challenge of providing more energy to
25 support growing populations while reducing greenhouse

1 gas emissions is one of the fundamental challenges
2 society is facing today. So we also, as context,
3 wanted to share an understanding of the value of the
4 carbon capture, use, and storage value chain requires
5 understanding of the CCUS supply chain, where we engage
6 a broad spectrum of technologies to create a carbon
7 management system.

8 CCUS is a process that begins with capturing
9 CO2 emissions from industrial sources or directly from
10 the air. The CO2 can be converted directly -- the CO2
11 is transported and then can be converted into useful
12 products at a very small scale. Or, much more often,
13 the carbon dioxide is compressed and transported to be
14 injected underground, where it is safely and
15 permanently stored.

16 There are many potential ways to link the
17 building blocks of the CCUS supply chain. Some
18 technologies are mature, and many require further
19 development.

20 And one more piece of context, here's the
21 diagram that John was talking about, but while carbon
22 capture, use, and storage is not the only answer, we
23 hope to demonstrate through this report that it can
24 play a critical part of an "all of the above" solution
25 in any attempt to address emissions reduction, and CCUS

1 should be a critical part of the U.S.'s strategy.

2 In addition, CCUS technologies under research
3 and development today offer the best potential
4 approaches to a negative emissions scenario, which may
5 be required to remove CO2 directly from the atmosphere.

6 Okay. So one of the differentiators that John
7 described in the study, and he also pointed out where
8 we spent a huge amount of time, was the cost
9 assessment. So this is one of the most ambitious
10 aspects of the report, was undertaking an economic cost
11 assessment conducted through a thorough, bottoms-up
12 analysis of CCUS costs across the largest stationary
13 sources of carbon emissions in the U.S. This analysis
14 was generated using costs for proven technologies,
15 amine-based capture, pipeline transport, enhanced oil
16 recovery or saline storage. Costs were developed using
17 expertise from a broad range of specialists.

18 Our analysis provides the value of financial
19 incentives and the business case needed to enable
20 deployment, the case for research development and
21 demonstration (RD&D) that can lead to a reduction in
22 cost and economic impact analysis of these investments
23 and the direct impacts on jobs, gross domestic product,
24 income, and tax revenues.

25 So we've done a lot of work. We wanted to

1 point out, you'll see numbers on the next slide, but we
2 are also going to make many -- several of our tools
3 available online through the NPC website. So if you'd
4 like to rerun some of the cost models with different
5 numbers, with different assumptions, we'll make that
6 available to you. One of the key tenets of our project
7 was show our work, show people how we came up with
8 these costs, and if you would do them differently for a
9 specific project, you'll be able to do that using this
10 tool.

11 So the next two slides illustrate the approach
12 and the output of this cost work. This curve's an
13 illustration of the results of the cost modeling we
14 just described, and we'll quickly walk through this to
15 help orient you to the approach and to the outcomes.
16 First, the elements of the work. The X axis depicts
17 the annual volume of CO2 emitted from stationary
18 sources in the U.S. We used 2018 and a million tonnes.
19 This is a snapshot of the cost for deployed today.
20 Using data from the EPA and the EIA, we focused our
21 analysis on CO2 generated from the top 850 stationary
22 emission sources. This represents about 80 percent of
23 the U.S. emitters -- stationary emitters.

24 These point sources include CO2 from ethanol,
25 powerplants, cement, chemical -- petrochemical, steel,

1 natural gas processing fertilizers, and others. The X
2 axis is not a timeline but represents the cumulative
3 emissions of about 2 billion tonnes of CO2 from these
4 top 80 percent of source emitters.

5 The Y axis is the cost per tonne to capture,
6 transport, and store for each of these point sources in
7 the model. The cost per tonne gives an indication of
8 the minimum financial revenue or benefit needed to
9 incentive project development. The curve is arranged
10 by lowest-cost to highest-cost projects. So, here, we
11 show three illustrative examples of the 850 point
12 sources that we modeled -- one for ethanol, one for
13 cement, and one for natural gas processing. In these
14 three examples, the lighter color indicates the cost
15 for capturing the CO2 emissions, and the darker color
16 indicates the combined cost for transport and storage
17 or transport and use.

18 In our model, we made the following
19 assumptions -- a 20-year asset life, a rate of return
20 of 12 percent, 100 percent equity financing, 2.5
21 percent inflation rate, and 21 percent federal tax
22 rate. While each point source was modeled using the
23 methodology previously described, the actual cost of
24 any specific project may be different, as each project
25 has unique attributes that could cause it to be higher

1 or lower than the cost displayed in this model. But
2 what we really wanted to do is add a big broad
3 portfolio base, give you a sense of what the emissions
4 -- addressing emissions in the U.S. could look like.

5 Another item we'd like to call your attention
6 to are the downward arrows on this curve. These
7 represent notional cost improvements resulting from
8 RD&D investments.

9 So here's our cost curve again. And as
10 previously referenced, the study envisions three phases
11 of deployment: activation, getting started; expansion;
12 and at-scale deployment. The first, activation, is
13 represented by a dark blue segment on this chart. This
14 gives us a jumpstart by clarifying existing federal tax
15 policies and regulations. The middle range, the
16 expansion phase, is built upon congressional actions
17 and regulatory agencies' enhancement or expansion of
18 existing policies.

19 And the lighter blue section on this curve,
20 which as John described earlier, takes us to at-scale,
21 the at-scale phase, would require additional financial
22 incentives and policy support to continue investment
23 towards the 500 million tonnes per year of CO2
24 abatement. This level of deployment is estimated to
25 occur over a 25-year time frame.

1 And as previously noted, this analysis uses
2 proven technologies with known costs. As noted by the
3 yellow arrows, successful results from the proposed
4 RD&D initiatives could reduce the policy source support
5 required in this phase. And in this model, we estimate
6 that 10, maybe up to 30, percent reduction in cost
7 could be achieved through RD&D. These cost
8 improvements could be greater or smaller, but we look
9 to RD&D and learning by doing to unlock the full
10 potential of these technologies out in the future.

11 So now we want to tell you our story. You're
12 all familiar with the NPC process of crafting findings
13 and supporting recommendations as an executive summary.
14 While we're not writing a novel, we want to assure you
15 that our findings tell a comprehensive story and we'll
16 run through those now. We have ten of them.

17 Our first four findings frame the case for
18 building CCUS at scale in the U.S. The report
19 highlights the dual challenge and the fact that
20 addressing this cost-effectively requires CCUS. Beyond
21 a benefit to reducing emissions, this report identifies
22 increasing deployment of CCUS as an economic benefit to
23 the nation, creating new market opportunities, jobs,
24 and capabilities.

25 Indeed, we're already the world leader

1 with about 80 percent of the world's current CCUS
2 capacity -- 25 million tonnes per year -- and around
3 85 percent of the global CO2 pipeline, about 5,000
4 miles of CO2 pipeline infrastructure.

5 Our RD&D is already well under way with a
6 significant investment through the Department of Energy
7 of about \$4.5 billion over the last 20 years. We have
8 the beginnings of a meaningful public policy,
9 infrastructure, although admittedly, it's not
10 sufficient yet to drive wide-scale deployment.

11 Our next finding is that sort of beginning
12 phase on the cost analysis that we showed earlier, and
13 we described using the cost curve. The report is
14 underpinned by a three-phased approach, and it starts
15 with what we call the activation phase. This phase is
16 focused on actions from federal agencies. For example,
17 the IRS and the U.S. Treasury can focus on clarifying
18 existing policy and regulations. The EPA can work to
19 enhance and strengthen the Class VI well permitting
20 process. And the Department of Interior and individual
21 states should clarify rules of pore space access and
22 ownership.

23 This will take away one big obstacle:
24 uncertainty. And these actions could help double the
25 U.S.'s CCUS capacity over the next five to seven years,

1 driving us to about 60 million tonnes of CO2 captured
2 and stored per year.

3 The map on this slide portrays industry in its
4 infancy with local CO2 emissions sources being
5 delivered to nearby subsurface storage sites, primarily
6 through enhanced oil recovery. During the activation
7 phase, a total of about 50 billion in CCUS investments
8 is estimated. These investments and multiplier effects
9 are estimated to support about 9,000 jobs annually and
10 \$1.4 billion in annual GDP. The activation phase
11 expands the baseline and should also increase public
12 support, enabling us to move on to what we call the
13 expansion phase.

14 Recommendations underpinning the expansion
15 phase will require Congress and regulatory agencies to
16 expand and to extend existing policies and strengthen
17 the legal and regulatory framework for CCUS projects in
18 the U.S. Recommendations underpinning this finding
19 include expanding the use of tax credits and financial
20 tools for CCUS projects.

21 There are also recommendations to fund
22 improvements in well permitting processes, as well as
23 additional regulatory reform at the federal and the
24 state levels focused on poor space ownership, long-term
25 liabilities, and infrastructure development. These

1 actions could result in yet another doubling of CCUS
2 capacity within the next 15 years to a cumulative
3 capacity of about 150 million tonnes of CO2 per year.

4 The map on this slide portrays the potential
5 expansion of CCUS sources and sinks that could be
6 enabled across the U.S., and we see more CO2 being
7 transported to subsurface storage, as well as EOR.

8 During the expansion phase, an incremental
9 \$124 billion in investments is estimated, totaling
10 about 175 billion. This level of investment will
11 support over 42,000 annual jobs and 1.4 billion in
12 annual GDP.

13 Phase 3, at-scale deployment, in our view, is
14 25 years away, but it's achievable with further
15 increased support driven by federal policy. Using
16 proven technologies and today's costs with operational
17 improvements, we foresee the need for a mix of
18 financial incentives to help enable this phase,
19 amounting to about \$90 to \$110 a tonne of CO2.

20 Our map demonstrates the broad ranges of
21 sources and sinks connected by a pipeline distribution
22 system that grows across the Continental United States,
23 illustrative of the at-scale deployment of the CCUS
24 supply chain. During the at-scale phase, total
25 investments will reach \$680 billion. The annual

1 economic impact from this level of investment supports
2 over 230,000 jobs and results in almost \$21 billion in
3 annual GDP.

4 A point that's really critical to make here is
5 just because the results are phased out over 20, 25
6 years doesn't mean the work should be deferred.
7 Because of the complexity of many of these solutions,
8 we feel like the work underpinning activity in all
9 three of these phases should begin now.

10 Our next finding is the critical role of RD&D
11 investment. A commitment to CCUS must include an
12 ongoing investment to research, development, and
13 demonstration. The study described how CCUS
14 technologies have been developed and builds the case
15 for continued investments in that development. There
16 have been tremendous strides in CCUS technologies over
17 the last two decades, driven by public-private
18 research, development, and demonstration partnerships.

19 Today, technologies across the supply chain
20 vary in maturity. More mature technologies, like
21 absorption and capture via amine scrubbing are well
22 understood and have been in use for decades. The good
23 news, we have a lot of experience with aiming and
24 capture and know how to do it. However, there's
25 unlikely to be significant improvements in cost just

1 from enabling more RD&D just for this technology. But
2 if we focus RD&D on less mature, emerging technologies,
3 the potential for breakthrough is much greater. A step
4 change could decrease costs and lower the investment
5 needed to unlock the benefits of at-scale deployment.

6 RD&D could be a real game changer here in the
7 long term. If the investment delivers at the 30
8 percent target level we illustrated on the cost
9 assessment, it would achieve a ten times return on
10 investment or about 150 billion in cost savings over
11 the at-scale development cycle.

12 So here's our Finding 8 and recommendations.
13 So just as we've seen through a similar commitment to
14 renewables research, additional RD&D will lead to
15 further innovation, performance improvement, and cost
16 reductions over time. That's why our report calls for
17 \$15 billion of government-funded RD&D over the next ten
18 years to support fundamental research, pilot programs,
19 and demonstration projects with a focus on emerging
20 technologies.

21 Industry will also continue to partner with
22 government, investing significant resources of its own
23 to further research and development. Okay, to be
24 clear, none of this, with the possible exception of
25 Phase 1, can be accomplished without public

1 understanding, public confidence, and public support.
2 This recommendation -- this report recommends an
3 engagement approach aimed at informing the public and
4 securing that support.

5 And our final finding is that we believe the
6 oil and gas industry has a huge amount to offer in
7 ensuring that U.S. -- continued U.S. leadership in CCUS
8 deployment. The sector has experience in designing and
9 deploying major projects -- the major projects required
10 to execute at-scale deployment, a deep knowledge of
11 full value chain integrated systems, and experience in
12 developing and deploying new technologies, and a safety
13 culture that should enable us to move forward.

14 So just to kind of summarize the key messages
15 of the report, the U.S. is the world leader and is
16 uniquely positioned to deploy CCUS at scale. CCUS can
17 be deployed today; however, the economics of CCUS are
18 challenging. Deployment at scale requires clarity,
19 stable and enduring policy, and regulations and
20 incentivization to catalyze development. Investment in
21 research, development, and demonstration will continue
22 further applications and help us drive down cost.

23 Finally, these actions can stimulate new
24 industry in the U.S., creating jobs, capability, and
25 economic growth for both the U.S. and a global

1 marketplace.

2 So the next four slides offer a romp through
3 the report content and construct. We hope you'll
4 review the entire report, and this slide will give you
5 -- these slides will give you a sense of how it's
6 organized. The report is very, very content-rich, but
7 the findings and recommendations can all be found in
8 the executive summary. And as John noted earlier, at
9 the highest level, the core elements of the report are
10 captured on the two-page roadmap to deployment in the
11 executive summary.

12 The report has three parts: the executive
13 summary; Volume 1, covering the aspects of growing to
14 at-scale deployment; and Volume 2, covering the current
15 state and future opportunities for CCUS technologies.
16 Volume 1 highlights the energy and emissions landscape;
17 economics; policy, regulatory, legal enablers;
18 stakeholder engagement; and provides much detail, as I
19 said, on the underpinning cost estimates and economics.

20 Volume 2 describes the technologies of the
21 CCUS value chain, capture, transport, geologic storage,
22 EOR, and use. And it also offers the case for future
23 investments in RD&D.

24 So we know you're all eager to dig into the
25 rich content, and we're thrilled to report that the

1 report website will be active in about an hour,
2 depending on the outcome of this discussion, and
3 hopefully you'll all be able to download the content
4 soon. The hard copy report and executive summary will
5 be in the first quarter of 2020.

6 Pending your endorsement of the study, the
7 CCUS team will be sharing the results with key
8 stakeholders throughout 2020, and if you would like a
9 further presentation, please contact the NPC.

10 And just a final slide. This report had over
11 300 authors. It might sound like too many cooks in the
12 kitchen, but in this case, we benefitted greatly from
13 the broad ranges of experience and perspectives on
14 CCUS. The at-scale deployment of carbon capture, use,
15 and storage in the U.S. is intriguing, and potentially
16 highly beneficial endeavor, not only in a -- not only
17 from a policy and a business perspective but also from
18 a society that is demanding a lower carbon future.
19 It's highly complex, and we could not have designed the
20 roadmap without all of these people.

21 We'd like to close by acknowledging every
22 single one of them for their patience, their support,
23 and their enthusiasm through this projects. So I'd
24 just like to do a brief shout-out for those of you who
25 were involved in the report construction, please raise

1 your hands. Just let the room acknowledge you, and
2 that includes Steve Winberg, my Government Cochair, so
3 thank you very much.

4 (Applause.)

5 MS. YEILDING: So with that, I'll turn the
6 floor back over to John Minge.

7 MR. MINGE: Okay, thanks, Cindy. That was
8 excellent. So in the same way that Alan did, I open up
9 the floor to any questions or comments on this study.

10 (No response.)

11 MR. MINGE: All right. I've always been
12 taught don't hesitate in this moment. Okay, so hearing
13 none, I think the -- so on behalf of the Study
14 Committee, Greg, I will move on behalf of the Committee
15 that the Council adopt the report subject to final
16 editing and approve making the study topic papers
17 available on the NPC website.

18 MR. GREG ARMSTRONG: So, again, thanks to John
19 and Cindy and the entire study group. So I have a
20 motion that the NPC approve the report subject to final
21 editing, approve the transmittal letter to Secretary
22 Brouillette, and approve providing the topic papers and
23 the cost curve model to the public through the NPC
24 website. Can I get a second?

25 AUDIENCE: Second.

1 MR. GREG ARMSTRONG: Thank you. Are there any
2 additional comments or questions?

3 (No response.)

4 MR. GREG ARMSTRONG: If not, would all those
5 please in favor please say aye.

6 (Chorus of ayes.)

7 MR. GREG ARMSTRONG: Any opposed?

8 (No response.)

9 MR. GREG ARMSTRONG: So the motion carries
10 and the study is approved without objection. So I want
11 to thank the Committee again, everybody for all the
12 work -- the amount of work that went into this was just
13 unbelievable.

14 So, next, we have the opportunity and the
15 honor to hear from Assistant Secretary of Fossil
16 Energy, Steve Winberg. Steve is the Secretary's
17 designated official for NPC matters, and we're
18 particularly grateful to you for your cooperation and
19 support throughout this entire study process, which was
20 pretty amazing. If you were in one study group, you
21 went to a lot. If you were in both study groups, you
22 went to a heck of a lot. And so I'd invite you with
23 the opportunity to make some comments.

24 ASSISTANT SECRETARY WINBERG: I'm vertically
25 challenged, so I get to come up on this step.

1 Thank you, Greg. I want to thank everyone
2 that's here today, with us today, and especially thank
3 the National Petroleum Council. You were all
4 instrumental in developing these significant and
5 valuable reports. This has been a long process, but we
6 wouldn't be here today without the contributions, the
7 commitment, and, quite frankly, the plain hard work. I
8 had the opportunity to sit in on a number of the
9 sausage-making meetings, and here's what I observed.
10 You get a bunch of Type A people in a room with a lot
11 of varying ideas, and one of two things happen. Either
12 sparks fly and people go off and nothing happens, or
13 people buckle down and work together.

14 John made reference to that about the
15 differing opinions, and I saw that. I saw it firsthand
16 in a number of these meetings. And because of that,
17 because of people's willingness to sit down and work
18 through their differences, we have two very rich and
19 robust reports. And for that, I think you. This is
20 going to greatly help the Department of Energy and
21 other agencies in the federal government as we move
22 forward because they lay out the pathway to improve the
23 nation's oil and gas transportation infrastructure and
24 to deploy commercial CCUS technologies at scale in the
25 U.S. energy and industrial marketplace, but also these

1 studies are going to help not only here in the U.S. but
2 around the world as well. And they do represent a call
3 to action for industry, Congress, and federal agencies.

4 Many of the recommendations in the reports
5 align with the Department of Energy's mission and our
6 research and development priorities, and they will
7 inform our ongoing work. So I'd like to discuss for a
8 few minutes on areas where the Department is uniquely
9 suited to contribute to achieving these reports'
10 objectives. And let me start with infrastructure. The
11 Infrastructure study provides insights on the
12 challenges to infrastructure development and highlights
13 the importance of strengthening the nation's oil and
14 gas infrastructure to provide reliable and affordable
15 energy to consumers. This aligns well with the
16 Administration's energy goals and DOE's priorities.

17 I'll start with the midstream technology R&D.
18 We're developing tools and technologies to reduce
19 losses in natural gas delivery infrastructure, to
20 enhance operational efficiency of natural gas supply
21 and delivery infrastructure, and to improve pipeline
22 integrity. We've also been focusing on risks
23 associated with crude by rail. And, finally, we're
24 looking at the development of field technology testing
25 centers to evaluate the innovative technologies to

1 detect, to accurately locate, and then measure the
2 methane emissions associated with the natural gas
3 supply and delivery system.

4 Moving on to integrated analysis. In response
5 to the President's Executive Order on promoting energy
6 infrastructure and energy growth, the Department of
7 Energy and other federal agencies have been examining
8 economic and other effects associated with
9 infrastructure roadblocks in different regions of the
10 U.S., including the Northeast and the West Coast. And
11 DOE will continue to provide analysis on topics
12 relating to energy infrastructure.

13 When we get to LNG permitting, DOE plays a
14 crucial role in regulatory approval of LNG exports.
15 Today, DOE has authorized the export of more than 38
16 billion cubic feet per day of natural gas, primarily
17 spread across 15 large-scale projects in Louisiana,
18 Texas, Maryland, Georgia, Mississippi, and the broader
19 Gulf of Mexico. Five large-scale LNG terminals are
20 already exporting with one more expected to have its
21 first export any day now.

22 Currently, the U.S. has capacity for 7 billion
23 cubic feet per day of LNG capacity that's online. By
24 the end of 2020, we will -- we estimate that that will
25 be at 10 billion cubic feet. And we have about 14

1 billion cubic feet either online or under construction.
2 So from where we are today, we will be doubling LNG
3 export capabilities over the next several years.

4 Ladies and gentlemen, that's pretty
5 remarkable.

6 Last year, we issued a rule to expedite the
7 permitting of small-scale exports of natural gas,
8 including LNG. And DOE will continue to work to
9 streamline this regulatory process.

10 Moving on to government and industry
11 collaboration, DOE coordinates with the Department of
12 Transportation, particularly with PHMSA, on pipeline
13 reliability and natural gas storage facility
14 operations, and we hope to expand our research
15 collaboration with FEMSA over the next year. As the
16 sector-specific agency for cybersecurity in the energy
17 sector, DOE's Office of Cybersecurity, Energy Security,
18 and Emergency Response, otherwise known as CESER, is
19 focusing on improving the understanding of risks and
20 mitigating them, clarifying industry and government
21 roles and building capacity and information-sharing to
22 better secure U.S. energy infrastructure. Ensuring
23 energy infrastructure requires consistent industry-
24 government collaboration. That is not going to go
25 away; it's only going to become much more needed as we

1 move forward in time.

2 So moving on to the CCUS study, a number of
3 the recommendations in that report can help drive DOE's
4 research program agenda and enhance DOE contributions
5 to interagency coordination and collaboration with our
6 many stakeholders. Specifically, DOE has a role to
7 play here in four critical areas. And I'll start with
8 science and technology. DOE's carbon storage R&D
9 program has significantly advanced the global CCUS
10 knowledge base with a diverse portfolio of applied
11 research programs. And our broader CCUS program has
12 successfully deployed various large-scale CCUS pilot
13 and demonstration projects, and we continue to build
14 upon those significant achievements so that we can
15 test, mature, and improve CCUS technologies at the
16 commercial scale.

17 Most recently, we announced approximately \$110
18 million in federal funding for cost-shared CCUS R&D
19 projects, and the goal that we have in place at the
20 Department of Energy is to reduce the capture cost by
21 50 percent, notionally down to about \$30 per metric
22 tonne of CO₂. That will be the capture cost. When we
23 get to that point, and I am confident that we will, I
24 believe it can become cost-effective, business can take
25 over on the CCUS, and the government can get out of the

1 way and let business do what it does best, and that is
2 to innovate.

3 Let me move on to interagency coordination.
4 I've been in DC now for two years, and it's pretty
5 apparent to me that traffic gridlock and congressional
6 gridlock happens all the time. What I've also seen is
7 that in the regulatory space there's no such gridlock.
8 And when it comes to writing excruciatingly complicated
9 regulations, this town excels. Amy Shank's very
10 colorful diagram, I think, is an indicator of the
11 ability of this town to excel.

12 So DOE is working closely with federal
13 agencies to try and coordinate all aspects of this
14 regulatory effort that's going to take place, primarily
15 in CCUS, but also in the transportation piece of this
16 NPC effort. And so my goal is try and work with our
17 sister agencies to try and uncomplicate things as much
18 as we can possibly can. We're never going to
19 completely uncomplicate things, but to the extent we
20 can, I will tell you that that is what my goal is, and
21 more specifically, we are working with the Treasury
22 Department on the IRS regulations for 45Q.

23 I can't promise that they're not going to be
24 complicated. I can't speak on behalf of Treasury, but
25 what I can tell you is that we are working with them on

1 a very regular basis. We are hearing what you tell us.
2 We get a lot of people coming and talking to us about
3 45Q. We're listening, and we're talking to the IRS,
4 and I hope that you are as well because we need to get
5 these regulations in place so that we can actually go
6 about the business of commercializing CCUS.

7 And, finally, stakeholder -- engaging state
8 governments and stakeholders. DOE has a pretty long
9 history of collaboration and productive working
10 relationships with states on CCUS. We work directly
11 with state governments and through state-led
12 initiatives such as the State Carbon Capture Working
13 Group, the Southern States Energy Board, the National
14 Association of State Energy Officials. These state-
15 based efforts have complemented R&D efforts such as the
16 Regional Carbon Sequestration Partnership and will
17 continue to enhance new programs such as Carbon Safe.

18 So the NPC reports being announced today
19 provide clear roadmaps to meeting two critical U.S.
20 energy challenges, and the study recommendations
21 dovetail with and will inform the Department of
22 Energy's ongoing efforts to improve and strengthen our
23 oil and gas infrastructure and commercially deploy CCUS
24 technologies. We're committed to continuing that work,
25 and we look forward to collaborating with the NPC and

1 with Congress, our partners, and stakeholders at every
2 level as we go forward.

3 So, again, thank you all for being here today,
4 and thanks again to the NPC for developing these
5 important reports.

6 (Applause.)

7 MR. GREG ARMSTRONG: So thanks, Steve, for
8 sharing those remarks, and we trust that you and others
9 in the national, state, and local governments will find
10 the assembled data analyses inside and recommendations
11 useful in addressing the difficult balance among
12 environmental, economic, and energy security goals.
13 And we look forward to sharing the results with the
14 public.

15 So we'll move on to administrative matters.
16 Before I address those, I have two announcements.
17 First is that our webcast will now conclude. For those
18 in the online audience, we thank you for watching our
19 proceedings this morning and encourage you to download
20 and read the final reports, which will be posted at
21 www.npc.org following the adjournment of this meeting.
22 We'll wait just a minute while they go ahead and
23 disconnect.

24 Second, for the members of the media here
25 today, ten minutes following the meeting's adjournment,

1 the study leaders and I will be available at the head
2 table here to respond to your questions regarding the
3 reports for today's meeting for a short press
4 conference there. And we'll now turn to administrative
5 matters.

6 Our first administrative matter this morning
7 is the report of the Finance Committee. Byron Dunn,
8 Chair of the Finance Committee, will present the
9 Committee's report.

10 MR. DUNN: Thank you, Mr. Chairman. In
11 addition to reviewing periodic performance throughout
12 the year, the Finance Committee has met twice to
13 discuss Council finances, once in August and then again
14 yesterday afternoon. Our August meeting included a
15 review of the calendar year 2018 draft audit report and
16 the IRS Form 990 with Johnson & Lambert, who is our
17 outside auditor. You'd be pleased to know that Johnson
18 & Lambert provided the Council with a clean opinion. I
19 think that validates that our financial controls are
20 sound.

21 Yesterday afternoon, the Finance Committee
22 covered a variety of topics, including the 2019 year-
23 to-date and projected year-end expenditures and
24 contribution collections. The Council anticipates 2019
25 spending will be right at or just under the budget

1 amount of \$5.8 million, which includes the substantial
2 expense to support both studies that you heard today,
3 and the completion of the Arctic supplemental
4 assessment report that trailed from the previous year.
5 Contribution collections are currently anticipated to
6 exceed 90 percent of expectations from the budget but
7 with an opportunity to go a little bit higher since
8 we've got a few more days left in this year.

9 Now, look, some of you -- most all of you --
10 paid. Some of you haven't, and kind of 'tis the
11 season, so you still have time to clear your
12 conscience.

13 In addition, the Committee discussed and
14 agreed upon a significant reduction for the proposed
15 2020 budget in the amount of \$5.168 million. This
16 budget supports the Council's ongoing operations and
17 provides the resources needed to finalize and then
18 publish the infrastructure and the CCUs studies. The
19 proposed 2020 budget represents 11 percent decrease
20 compared to the 2019 budget. And I would say that that
21 5.168 budget assumes the contributions request of the
22 same amount from this year.

23 The proposed 2020 budget represents that 11
24 percent reduction, and the proposed '20 budget also
25 continues to set aside funds for the post-retirement

1 health liability, although on a smaller amount from
2 previous years. Both the Finance Committee and the
3 National Petroleum Council management recognizes the
4 challenges that the Council Members face in the near
5 term, and our industry's going through a little bit --
6 a time of uncertainty, and accordingly, the NPC
7 management, I think, has done a great job and worked
8 diligently to scrutinize the Council's budget, line
9 item by line item, to minimize costs wherever possible.

10 Management is being proactively frugal while
11 being responsible to the Council's continuing mission.
12 I believe the budget has reflected those important
13 efforts.

14 Now, subject to your approval, the budget and
15 contribution recommendations the Council will send
16 individual statements out in 2020, early in the year.
17 And I encourage you, because we all seem to
18 procrastinate, we'd like to get those in as early in
19 the year as possible.

20 And for those of you yet to make those
21 contributions, again, 'tis the season. Can't get off
22 the dais without trying to get those last little bit of
23 collections in.

24 So, Mr. Chairman, this completes my report,
25 and the Finance Committee -- of the Finance Committee,

1 and I move that it's adopted by the Council membership.

2 MR. GREG ARMSTRONG: Thank, Byron. So I have
3 a motion to adopt the report of the Finance Committee.
4 Do I have a second?

5 AUDIENCE: Second.

6 MR. GREG ARMSTRONG: I have a second. All
7 those in favor, please say aye.

8 (Chorus of ayes.)

9 MR. GREG ARMSTRONG: Any opposed?

10 (No response.)

11 MR. GREG ARMSTRONG: The motion carries.

12 So, Byron, thank you. The contribution
13 requests will go out shortly, and as we said, we'd love
14 to have kind of a little bit more contribution toward
15 the end of this year.

16 So, next, we have our second administrative
17 matter, is the report of the Nominating Committee. Jim
18 Hackett chairs the nominating committee but is unable
19 to be with us this morning. In his absence, Clark
20 Smith, a member of the Committee, will now present the
21 Committee's report. Clark?

22 MR. SMITH: All right. Thank you, Mr.
23 Chairman. The Nominating Committee has agreed on its
24 recommendations for NPC Officers and Chairs and Members
25 of the Agenda and Appointment Committees of the

1 Council, as well as the five at-large members of the
2 NPC Cochair's Coordinating Committee. So accordingly,
3 on behalf of the Nominating Committee, I'm pleased to
4 offer the following nominations.

5 NPC Chair, Larry Nichols.

6 NPC Vice Chair, Darren Woods.

7 For the Agenda Committee, we recommend the
8 following as members: Alan Armstrong, Deb Caplan, Bob
9 Catell, Greg Garland, Ray Hunt, Gretchen Watkins, Bill
10 Way, Bill White, Mike Wirth, and Daniel Yergin, with
11 Ryan Lance serving as Chair.

12 For the Appointment Committee, we recommend
13 the following as members: Nick Akins, Lisa Davis, Joe
14 Gorder, John Hess, Terry Jacobs, Mike Linn, Jeff
15 Miller, Pierce Norton, Scott Tinker, and John Walker,
16 with Vicki Hollub serving as Chair.

17 In addition, we recommend the following as the
18 at-large members of the Cochairs Coordinating
19 Committee: Kevin Book, Leo Denault, Joe Gorder, Doug
20 Suttles, and Jim Teague.

21 So, Mr. Chairman, this completes the report of
22 the Nominating Committee, and on its behalf, I move
23 that the above slate be elected until the next
24 organizational meeting of the Council. Thank you.

25 MR. GREG ARMSTRONG: Thank you, Clark. So I

1 have a motion to adopt the report of the NPC Nominating
2 Committee. Do I have a second?

3 AUDIENCE: Second.

4 MR. GREG ARMSTRONG: Thank you. Any
5 discussion?

6 (No response.)

7 MR. GREG ARMSTRONG: If not, all those in
8 favor, please say aye.

9 (Chorus of ayes.)

10 MR. GREG ARMSTRONG: Any opposed, say nay.

11 (No response.)

12 MR. GREG ARMSTRONG: Thank you. The report is
13 adopted. I'd just like to -- before we move into kind
14 of adjournment here, we've got to just say that it's
15 been a pleasure and an honor to be able to serve on
16 behalf of the Council, and I really, really thank Alan
17 and John for their service on the study committees and
18 for Secretary Brouillette, Secretary Perry while he was
19 here, and also Mr. Winberg.

20 So at this point in time, we do have an
21 opportunity for comments. Are there any comments or
22 questions?

23 (No response.)

24 MR. GREG ARMSTRONG: If not, we'll have a
25 motion for adjournment.

1 AUDIENCE: So moved.

2 MR. GREG ARMSTRONG: Second?

3 AUDIENCE: (Off microphone.)

4 MR. GREG ARMSTRONG: All those in favor,
5 please heartily say aye.

6 (Chorus of ayes.)

7 MR. GREG ARMSTRONG: Thank you very much.

8 We'll be back in ten minutes.

9 (Applause.)

10 (Proceedings continue with media questions,
11 separately transcribed.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

CERTIFICATE OF REPORTER

I, Linda Metcalf, do hereby certify that the foregoing proceedings were recorded by me and reduced to typewriting under the supervision of For The Record, Inc.; that I am neither counsel for, related to, nor employed by any of the parties to the action in which these proceedings were transcribed; and further, that I am not a relative or employee of any attorney or counsel employed by the parties hereto, nor financially or otherwise interested in the outcome of the action.



LINDA METCALF, CER