

BEFORE THE
122d NATIONAL PETROLEUM COUNCIL MEETING
TRANSCRIPT OF PROCEEDINGS

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

01 August 2012
Washington, D.C. USA



BUNN & ASSOCIATES
Registered Professional Reporters Worldwide
Post Office Box 297
310 South Main Street
Lusk, Wyoming 82225 USA

In USA 1-800-435-2468 Worldwide 001-307-334-2423
Worldwide Telefax 001-307-316-0388
E-mail: BUNNORLDWIDE@aol.com

Copyright 2011 All rights reserved.

1 APPEARANCES:

2 MEMBERS IN ATTENDANCE:

3 DANIEL J. O'REILLY

Chair

4 National Petroleum Council

Retired

5 Chevron Corporation

6 MARSHALL W. NICHOLS

Executive Director

7 National Petroleum Council

8 ROBERT B. CATELL

Chair

9 Advanced Energy Research and Technology Center

Stony Brook University

10

CLARENCE P. CAZALOT, Jr.

11 Chair

National Petroleum Council Committee on

12 Future Transportation Fuels

Chair, President, and Chief Executive Officer

13 Marathon Oil Corporation

14 CHARLES D. DAVIDSON

Chair

15 NPC Finance Committee

Chair and chief Executive Officer

16 Noble Energy, Inc.

17 GUESTS:

18 Hon. STEPHEN CHU

Secretary of Energy

19

Hon. DANIEL B. PONEMAN

20 Deputy Secretary of Energy

21 Hon. DAVID B. SANDALOW

Acting Undersecretary of Energy

22

23

1 APPEARANCES (Continued):
2 SUBCOMMITTEE CHAIRS:
3 D. CLAY BRETCHES
Chair
4 Coordinating Subcommittee of the
NPC Committee on Resource Development
5
LINDA A. CAPUANO
6 Chair
Coordinating Subcommittee
7
TASK GROUP CHAIRS:
8
STEPHEN R. BRAND
9 ConocoPhillips
Chair
10 Technology Task Group
11 TODD WERPY
Chair
12 Biofuels Study Group
13 S. SHARIQ YOSUFZAI
Chair
14 Supply and Infrastructure Task Group
15 SUBGROUP CHAIRS:
16 TONY BOCCANFUSO
University of South Carolina
17 Chair
Hydrogen Fuel Cells Subgroup
18
CHRIS ERICKSON
19 Archer Daniels Midlands
Chair
20 Hydrocarbon Liquids Subgroup
21 MIKE GALLAGHER
Westport Innovations
22 Chair
Natural Gas Subgroup
23

1 APPEARANCES (Continued):

2 SUBGROUP CHAIRS (Continued):

3 WILLIAM N. REINERT

Toyota

4 Chair

Electric Subgroup

5

ALAN TAUB

6 General Motors, Retired

Chair

7 Engines and Light-Duty Vehicles Subgroup

8 JOHN WALL

Cummins

9 Chair

Heavy-Duty Vehicle Subgroup

10

REGISTERED ATTENDEES:

11

Feridun Albayrak

IBM

12

falbayra@us.ibm.com

13

Joey Blanch

Chevron

jblanch@chevron.com

14

Erik Brownsword

EEI

15

ebrownsword@eei.org

16

Thomas J. Buonomo

Hunt Energy

tbuonomo@huntenergy.com

17

Joseph Caggiano

Chevron

18

JCAG@chevron.com

19

Eileen Campbell

Marathon Oil Corp.

emcampbell@marathonoil.com

20

Carlton Carroll

API

21

carrollc@api.org

22

Brian Chase

Chevron

bchase@chevron.com

23

1 APPEARANCES (Continued):
2 REGISTERED ATTENDEES (Continued):
3 Jaycie Chitwood Toyota
jaycie_chitwood@toyota.com
4
Valerie Crockett TVA
5 vjcrockett@tva-gov
6 Jack Derickson Chevron
jderickson@chevron.com
7
John Eichberger NACS
8 jeichberger@nacsonline.com
9 Ed Feller Energy Guardian
efeller@usenergyguardian.net
10
Charles Farago Southern Ute Growth Fund
11 cfarago@sugf.com
12 Christine Fields Accenture
christine.fields@accentrue.com
13
Jim Ford ConocoPhillips
14 j.m.e.ford@conocophillips.com
15 Christopher Freitas U.S. Department of Energy
christopher.freitas@hq.doe.gov
16
Mike Gallagher Westport
17 mgallagher@westport.com
18 Lynn Garner BNA
lgarner@bna.com
19
Avi Gopstein U.S. Department of State
20 gopsteinam@state.gov
21 Susan Gregersen U.S. Department of Energy
susan.gregersen@hq.doe.gov
22
Marilyn Harris MRO
23 maharris@marathon.com

1 APPEARANCES (Continued):
2 REGISTERED ATTENDEES (Continued):
3 Nakal Havaurkar Ken Keayeske.com
naklahav@gmail.com
4
5 Karen Hifender Spana
Karen@CFaenerey.oeu
6 Lisa Hyland CSIS
lhyland@csis.org
7
8 David Ivanovicit Argus
david.ivanovicit@argus.com
9 Nancy Johnson U.S. Department of Energy
nancy.johnson@hq.doe.gov
10
11 David Keane BG Group
David.Keane@BG-Group.com
12 Sarah Ladislaw Statoil
sarlad@statoil.com
13
14 J. Landers Dallas Morning News
jlanders@dallasnews.com
15 Warren Long ACSF
wlang@cleanskies.org
16
17 Deborah Lawrence Williams
deborah.lawrence@williams.com
18 Mike Leister Marathon petroleum
meleister@marathonpetroleum.com
19
20 Andrea Lisi Marathon Oil
andrea.lisi@marathonoil.com
21 Mark Maddox RG
mark@maddoxstrategies.com
22
23 Bill Maloney STATOIL
BML@statoil.com

1 APPEARANCES (Continued):

2 REGISTERED ATTENDEES (Continued):

3 Jeff Miller Miller Oil Co.
JMiller@milleroilco.com

4

5 Alby Modiano U.S.O.G.A.
amodiano@usoga.com

6 Lauren O'Neal EIG
loneil@energyinter.com

7

8 Jason Plautz Greenwire
jplautz@etnews.net

9 David Pumphry CSIS
dpumphrey@csis.org

10

11 J.A. Pyper Climate Wire
jpyper@ppnews.net

12 John Reese Shell
john:reese@shell.com

13

14 Bill Reinert Toyota
bill.reinert@toyota.com

15 David Roger Chevron
EROG@chevron.com

16

17 Shane Seibel Southern Ute Growth Fund
sseibel@sugf.com

18 Jim Shitz Global Energy Strategics
jshitz@globalenergystrategics.net

19

20 Chris Smith U.S. Department of Energy
chris.smith@hq.doe.gov

21 Nick Snow Oil & Gas Journal
nicks@pennwell.com

22

23 Greg Stape ACSF
gstape@cleanskies.com

1 APPEARANCES (Continued):

2 REGISTERED ATTENDEES (Continued):

3 Melissa Stark Accentrue
melissa.stark@accenture.com

4

5 Bill Taylor KVA
bill.taylor@kvausa.com

6

Puneet Verma Chevron
pverma@chevron.com

7

8 Knely Webster Counsel

9 Todd Werpy ADM
todd.werpy@adm.com

10

Madeline Whitaker

11

12

13

14

15

16

17

18

19

20

21

22

23

I N D E X

1		
2	CALL TO ORDER	
3	By David J. O'Reilly	10
4	INTRODUCTIONS	11
5	CONSIDERATION OF PROPOSED FINAL REPORT OF COMMITTEE ON FUTURE TRANSPORTATION FUELS	
6	By Clarence P. Cazalot, Jr.	13
	By Linda A. Capuano	18, 43
7	By William Reinert	25
	By Stephen Brand	30
8	By S. Shariq Yosufzai	38
9	UPDATE ON THE NPC PRUDENT DEVELOPMENT REPORT	
	By D. Clay Bretches	49
10		
	INTRODUCTORY REMARKS BY DEPUTY SECRETARY OF ENERGY	
11	By Hon. Daniel B. Poneman	
12		
	REMARKS BY THE SECRETARY OF ENERGY	
13	By Hon. Steven Chu	64
14	ADMINISTRATIVE MATTERS:	
15	REPORT OF THE NPC FINANCE COMMITTEE	
	By Charles D. Davidson	93
16		
	REPORT OF THE NPC NOMINATING COMMITTEE	
17	By Robert B. Catell	96
18	DISCUSSION OF ANY OTHER BUSINESS PROPERLY BROUGHT BEFORE THE NATIONAL PETROLEUM COUNCIL	
19		
	ADJOURNMENT	
20		
21		
22		
23		

1 in or who has not checked in, please do so after
2 the meeting so we have an accurate record of
3 attendance at the meeting today.

4 We also have an extended audience
5 joining us via webcast. The internet audience will
6 be able to follow our presentations today, and at
7 the end of the meeting will be able to download the
8 Future Transportation Fuel Study Draft Report.

9 I'd now like to introduce to you, and
10 for the Record, the members and the participants at
11 our head table. On my immediate right is the
12 Council's co-Chair, the Honorable Steven Chu,
13 Secretary of Energy.

14 Mr. Chu. Welcome.

15 (Whereupon, applause was had.)

16 MR. O'REILLY: We thank you for being
17 here this morning, and we look forward to having
18 our presentations and report sent to you.

19 Next one is Clarence Cazalot, Chairman
20 of the NPC Committee on Future Transportation
21 Fuels.

22 (Whereupon, applause was had.)

23 MR. O'REILLY: Next, the Honorable

1 Daniel Poneman, Deputy Secretary of Energy, and the
2 government co-Chair for the Committee.

3 Daniel.

4 (Whereupon, applause was had.)

5 MR. O'REILLY: And, next to Daniel is
6 Marshall Nichols, the Executive Director of the
7 National Petroleum Council itself.

8 Marshall, welcome.

9 (Whereupon, applause was had.)

10 MR. O'REILLY: At the table to my left
11 are representatives from the Future Transportation
12 Fuels Study's Coordinating Committee who have
13 worked for two years to complete the study. It's
14 been a pretty massive undertaking, and they will be
15 introduced to you as the study itself is presented.

16 So, our primary business this morning is
17 to review the work of the NPC Committee itself,
18 the, the Future Transportation Fuels Study, discuss
19 the findings and recommendations, and to vote on
20 the adoption of the Proposed Final Report as the
21 Council's response to the Secretary's request of a
22 couple of years ago.

23 Many members of the Council have

1 provided outstanding leadership, as well as
2 significant commitments of their personal time and
3 their organizations' resources to respond to the
4 Secretary's request for the important study.

5 One of the main contributors, of course,
6 is Clarence Cazalot, of Marathon, who chairs that
7 Committee on Future Transportation Fuels, and he
8 will kick off the presentation of the results of
9 the comprehensive study.

10 So, Clarence, the podium is yours. Be
11 careful here.

12 CONSIDERATION OF THE PROPOSED FINAL REPORT OF THE
13 NPC COMMITTEE ON FUTURE TRANSPORTATION FUELS:

14 MR. CAZALOT: Thank you, Dave.

15 Good morning to the Council, our honored
16 guests, and those of you joining us via the web.
17 Before I begin, I want to say a word of thanks to
18 my leadership team.

19 Dan Poneman, as already been introduced
20 as my government co-Chair, stayed with us from the
21 inception of the study to the finish. It was a
22 great source of advice and support.

23 John Watson, our Supply and

1 Infrastructure Vice-Chair personally provided
2 tremendous support throughout the study, as well as
3 significant resources from Chevron, one of who we
4 will hear from a little later.

5 John Deutch, who would be here today
6 were it not for being laid up with a back injury,
7 guided the very difficult technology assessment
8 process.

9 John, I hope you're feeling better, and
10 that you're watching on the web, and we thank you
11 for your service.

12 Lastly, we have Jim Owens, who did the
13 demand analysis. Jim retired about midway through
14 the study, but he provided us Ian Short to chair
15 the Demand Task Group.

16 And, Ian, we hope you're watching from
17 your new position in Geneva.

18 Now for the Study. The Council was
19 asked by Secretary Chu to address, -dress issues
20 that are very complex and far-reaching, and I
21 strongly believe that the Committee's Coordinating
22 Subcommittee, Task Groups, and Subgroups have met
23 the challenge in fine fashion.

1 They assembled and analyzed the facts,
2 and discussed openly their implications to the
3 environment, the economy, and our nation's energy
4 security. This study is unprecedented in its
5 breadth, depth, and use of subject-matter experts.

6 The complete report has the potential to
7 significantly enhance our nation's understanding of
8 the promise and prospects for all forms of
9 transportation in this country moving forward. I
10 believe the results of their efforts will help the
11 Secretary and others address the important
12 challenges to commercial-scale deployment of
13 advanced vehicles and alternative fuels at scale
14 over the coming decades.

15 As we will see and discuss this morning,
16 first, we have existing technology, fuels, and
17 vehicles that are capable of significant
18 improvement. Secondly, we've also identified
19 technology infrastructure hurdles that, if
20 overcome, hold exciting promise to add to the suite
21 of avoidable and affordable fuels in vehicles.

22 And, last, but certainly not least, we
23 have the great potential for disruptive

1 technologies and innovations that could take us in
2 new directions.

3 Ladies and gentlemen, I believe this is
4 a very promising technology story, and, indeed, a
5 good-news story for America's economy, the
6 environment, and energy security. Our objective
7 this morning is to provide an overview of the
8 study's findings and recommendations.

9 We hope that many of you have read, or
10 will read the report in its entirety, including the
11 topic papers, which will be made available on the
12 NPC website, and take advantage of the study's
13 modeling tools that will also be available on line.

14 I do want to emphasize that the report
15 itself was full of important details that simply
16 cannot be covered in a 40-minute presentation. The
17 background and analyses that you will find in the
18 report will provide clarification and support for
19 the key findings and recommendations that we, you
20 will hear in the presentation today.

21 Here to describe the highlights of the
22 report is the Leadership Team from the Study's
23 Coordinating Subcommittee. As Dave said, they have

1 been at this task, on this assignment for over two
2 years in order to make this date possible.

3 On my immediate left was Linda Capuano,
4 who chairs the Coordinating Subcommittee.

5 Next to Linda is David Sandalow, the
6 Coordinating Subcommittee's government co-Chair.
7 We want to thank him for his leadership and
8 engagement throughout this process.

9 Next to Dave is Bill Reinert, who chairs
10 the Electric Subgroup.

11 And, next to Bill is Steven Brand, who
12 chairs the Technology Task Group.

13 And, finally, we have Shaq Yosufzai, who
14 chairs the Infrastructure and Supply Task Group.

15 I want to reiterate David O'Reilly's
16 earlier recognition of the many members of the
17 Council who provided their outstanding leadership,
18 as well as some significant commitments of their
19 time and their organizations' resources in response
20 to the Secretary's request for this important
21 study.

22 And, for those of you who responded to
23 these requests to make people available, and their

1 significant commitment of time for this study, my
2 personal thanks to all of you for your support.

3 We now want to turn to the consideration
4 of the Proposed Final Report of the NPC Committee
5 on Future Transportation Fuels. On behalf of the
6 Committee I'm pleased this morning to present the
7 results of this comprehensive study to the Council
8 Membership for your consideration and action.

9 And, Linda Capuano will now lead off the
10 presentation.

11 Linda.

12 MS. CAPUANO: Thank you. Thank you,
13 Clarence.

14 Over the next 40 minutes we will briefly
15 cover the breadth of the study, review the top five
16 study findings, and the five recommendations.
17 First I will briefly remind you of the study's
18 scope.

19 Slide 2 is a reminder that Secretary Chu
20 has asked for a study of future transportation
21 fuels prospects through 2050, for auto, truck, air,
22 rail, and waterborne transport. The study
23 addresses fuel demand, fuel supply, infrastructure,

1 and technology, and will advise on policy options
2 and pathways for integrating new fuels and vehicles
3 into the marketplace.

4 The study considered factors such as
5 energy efficiency, environmental impact, energy
6 security, and economic competitiveness, and
7 specifically considered Secretary Chu's
8 supplemental request for us to address what actions
9 industry and government could take to reduce
10 transportation greenhouse gas emissions by 50
11 percent in 2050, relative to 2005.

12 Slide 3 shows the study's structure, the
13 study's organized with a committee on future
14 transportation fuels, and executive committee, and
15 a coordinating subcommittee, with task groups for
16 demand, supply and infrastructure, and technology.

17 Slide 4, Clarence Cazalot chairs the
18 Study's Executive Committee, with Dan Poneman as
19 government co-chair. The diversity of
20 participation shows in the Coordinating
21 Subcommittee and the 300-plus study members
22 represented in the next slide.

23 Eleven percent of the study members

1 represented end users such as Federal Express,
2 Wal-Mart, United Airlines, and the American
3 Trucking Association, as we consider the demand for
4 moving people and goods in 2050.

5 Twenty-four percent represented fuel
6 suppliers such as Chevron, Exxon-Mobil,
7 ConocoPhillips, Air Products, Encana, and Archer
8 Daniels Midlands. And, 24 percent represented
9 transportation manufacturers, such as General
10 Motors, Toyota, Volvo, Westport Innovations,
11 Cummins, and Packard, as we considered vehicle
12 requirements to supply the demand for moving people
13 and, and goods in 2050.

14 We also recruited a good representation
15 of academics, engineers, government, legal, and
16 finance, such as Duke University, Resources for the
17 Future, and the Department of Transportation. But,
18 as you see on the, on the right, at our heart this
19 is a technology study, with 70 percent of the
20 participants having technol-, technical backgrounds
21 complemented by participants specializing in policy
22 and economics.

23 Slide 6 shows our guiding principles.

1 We operated under a number of guiding principles,
2 in particular, clarifying our assumptions and
3 considering the environmental, economic, energy
4 security impacts of our analysis.

5 Beyond the diversity of our membership,
6 the study has been equally broad in surveying work
7 that has gone before. We maximized the use of
8 prior studies.

9 The Bibliography has reached over 400
10 references. And, the study complemented the review
11 of published work, with more than 20 briefings on
12 current activities.

13 Slide 7 summarizes the briefings we have
14 received on fuel and vehicle technologies; For
15 example, from MIT, BMW, and the National Academies.

16 Slide 8 summarized the briefings on
17 environmental and, and efficiency, and
18 infrastructure and investment; for example, from
19 Carnegie-Melon, DOE, Department of Transportation,
20 and the Pew Center, to name a few.

21 We are also communicating and reaching
22 out. Slide 9 lists presentations we have made and
23 are scheduled to make during the course of this

1 study. You can see the three expert reviews,
2 presentations to engineers, and relevant academic
3 and professional conferences.

4 Slide 10 shows the study structure. The
5 study began by examining individual fuel and
6 vehicle options for biofuels, electric, hydrocarbon
7 liquids, and natural-gas and hydrogen fuel cells.
8 Seven subgroups analyzed the potential to maximize
9 the commercial availability of each vehicle fuel
10 type, independent of competition from the other
11 vehicle types.

12 Todd Werpy, of the Ar-, Archer Daniels
13 Midlands, chaired Biofuels. Chris Erickson, of
14 ExxonMobil chaired Hydrocarbon Liquids.

15 Mike Gallagher, of Westport Innovations,
16 chaired Natural Gas. Tony Boccanfuso, of the
17 University of South Carolina, chairing Hydrogen
18 Fuel Cells, and Bill Reinert, of Toyota, chairing
19 the Electric Subgroup.

20 Alan, Alan Taub, retired from General
21 Motors, chaired the Engines and Light-Duty Vehicles
22 Subgroup, with John Wall of Cummins chairing the
23 Heavy-Duty Vehicle Subgroup.

1 While the Supply and Infrastructure and
2 Technology Task Groups considered the technical and
3 other barriers in each fuel vehicle system that
4 must be overcome to commercially be available by
5 2050, the Demand Task Group considered the range of
6 2050 transportation demand for passengers and
7 freight.

8 The integration of the individual fuel
9 vehicle supply chains to meet 2050 demand was
10 accomplished by five subgroups: Reporting
11 Integration, chaired by Peggy Montana, of Shell;
12 Data Integration, chaired by Gene Tunison, of
13 ExxonMobil; Integrated Vehicles, chaired by Clay
14 Phillips of General Motors; Infrastructure, chaired
15 by Charlie Schrier, retired ExxonMobil; and
16 Greenhouse Gas Emissions, chaired by Dave Rogers of
17 Chevron.

18 Slide 12 shows the integration -- how
19 the individual supply chains are represented
20 pictorially by the three-by-three matrix by
21 integrated supply and demand. We considered
22 potential fuel/vehicle mixes that could result when
23 multiple fuel/vehicle types competed to meet 2050

1 demands to move passengers and freight.

2 The horizontal axis represents the
3 mobility demand in 2050. The study used the EIA
4 AEO 2010 as the reference case, using the high and
5 low oil price scenarios to consider the range of
6 demand.

7 This provided a credible,
8 well-documented, and public-available starting
9 point. The vertical axis represents the mobility,
10 supply, moving from low, lower technology
11 development to aggressive technology and
12 infrastructure development analysis.

13 And, since we considered accelerating
14 alternative fuels in vehicles, our analysis spent
15 more time looking at the aggressive development
16 cases represented at the top of the matrix. The
17 study examined at a variety of fuel/vehicle
18 combinations relative to environment, economic
19 competitiveness, and energy security by considering
20 characteristics like greenhouse gas emissions, cost
21 of mobility, oil uses, and a robust fuel supply, to
22 name just a few.

23 This integrated work culminated in five

1 top-level findings. We will cover each of these
2 individually in the next slides, but they are
3 summarized for you in Slide 12.

4 Bill, Bill Reinert of Toyota, and Chair
5 of the Electric Subgroup, will discuss the finding
6 related to fuel economy.

7 Stephen Brand, retired CEO of
8 ConocoPhillips, and Chair of the Technologies Task
9 Group, will discuss the findings related to
10 technology and infrastructure challenges.

11 And Shariq Yosufzai, VP at Chevron and
12 Chair of the Supply and Infrastructure Task Group,
13 will discuss the findings related to greenhouse gas
14 emissions and energy security.

15 I will now turn the discussion on fuel
16 economy finding on Slide 13 to Bill Reinert.

17 MR. REINERT: Thank you, Linda.

18 A key finding of this study is that fuel
19 economy can be dramatically increased in both the
20 light- and heavy-duty sectors due to advancement
21 and application of existing and new technologies.
22 Internal-combustion engines are likely to be the
23 dominant propulsion system for decades to come,

1 with liquid fuel blends continuing to play a
2 significant, although reduced role.

3 Our integrated analysis found that
4 individual fuel economy can improve with the
5 application of technology, and that overall fleet
6 fuel economy could improve as the work process make
7 these technologies more affordable and applicable
8 to the mass market.

9 Reduced vehicle weight, improved
10 aerodynamics, and reduced rolling resistance are
11 highly desirable, because they apply to all vehicle
12 types, regardless of propulsion system or fuels
13 used. But, they tend to provide incremental
14 improvements.

15 Technologies that improve the
16 technologies of internal-, internal-combustion
17 engines are also desirable because they apply to
18 many different fuel types, including
19 internal-combustion engines, liquid fuel hybrids,
20 plug-in hybrids, and natural-gas vehicle, vehicles.

21 According to a liter-, literature survey
22 for this study, the following results are possible
23 by 2050, relative to 2005 conventional vehicles.

1 These results are going to be expressed on a
2 mile-per-gallon gasoline equivalent basis.

3 For internal-combustion light-duty
4 vehicles combining light-weighting with smaller
5 displacement engines, max turbo charge, improved
6 transmissions, we can expect up to 50-percent
7 improvement in fuel economy. The most dramatic
8 impact of fuel economy effects come from powertrain
9 hybridization and electrification, which has
10 eventually built up to 100-percent improvement for
11 hybrid vehicles, up to 300-percent improvement for
12 fuel-cell electric vehi-, vehicles, and up to
13 400-percent improvement for battery-electric
14 vehicles.

15 In the heavy-duty sector more
16 significant improvements of up to 100 percent are
17 possible through improved aerodynamics, improved
18 rolling resistance, powertrain improvements.
19 Again, this is based on literature research, not
20 the findings of this group.

21 Based on the assumptions and inputs
22 used, the study analysis found that each
23 fuel/vehicle system could become economically

1 viable by 2050. This is due largely to the faster
2 cost reductions for alternative technology when
3 compared to more mature technologies, and oil
4 prices that rise faster than alternative fuels.

5 These draws market -- These -- This
6 draws alternatives in advanced technologies into
7 the market. When oil prices are high, the rate of
8 technology adoption for fuel economy and
9 alternative fuels is likely to increase.

10 And, su-, -- And, a sustained price
11 spread favor alternative fuels and potentially
12 encourages the adoption of some alternative
13 vehicles. Because alternative vehicles tend not to
14 be economically viable when oil prices are low,
15 reducing the cost of these technologies to create a
16 value proposition for consumers isn't necessary to
17 gain a meaningful market share.

18 It is important to note the study did
19 not examine how other factors might eliminate
20 potential alternatives. So, this study does not
21 hypothesize a single-point fuel/vehicle system, nor
22 does it hypothesize a portfolio of such systems.

23 Internal-combustion engines, again, are

1 likely to be the dominant propulsion system for
2 decades.

3 Next slide, please. Okay.

4 This slide shows the energy consumption
5 by fuel type resulting from both the heavy- and
6 light-duty vehicle analysis. These results cover
7 all oil-price scenarios derived from AEO 2010, and
8 a portfolio in which all vehicle fuel systems are
9 competing.

10 The assumptions in this scenario are
11 detailed in the report. As you can see from this
12 slide, there is great potential for natural gas and
13 biofuels to replace petroleum in the future.

14 There is a wide range of outcomes of all
15 fuel types. Looking at 2010 versus 2050, we can
16 see that increase in vehicle miles traveled tends
17 to overcome the advancements in technology.

18 So, energy, transportation energy may
19 increase even by 2050. One thing to note is that,
20 that this is for vehicle-on-road use.

21 If you look at the slides for
22 electricity and hydrogen, they appear very small.
23 But, this is because the high efficiency of these

1 powertrains means they use very little energy on
2 the road.

3 That doesn't mean that they won't get
4 marginally. As stated previously, this will
5 continue to play a large role in the sect-, sector.

6 And, this concludes my remarks. Now I'm
7 going to turn it over to Steven Brand, Chair of the
8 technology testing.

9 MR. BRAND: Thank you, Bill.

10 Let me begin by going through the
11 subject-matter experts on this slide. And this,
12 those experts -- And, they were a significant part
13 of this study.

14 And, it's what made this study somewhat
15 unique. And I would just note the John Deutch also
16 chaired this group of folks, and it was a challenge
17 at times for him to manage this group.

18 The peer reviews were conducted by these
19 experts on topics important to this study. Their
20 role was to review the technical content of the
21 study for consistency, standardization,
22 normalization, and completeness of analysis.

23 Just to give you an example of who this

1 group included, we have Yet-Ming Chiang, of the
2 Univers-, or, MIT, and also A123 Batteries. And,
3 we evaluated and reviewed the electric-vehicle
4 chapter, and worked on the electricity section of
5 the, of the analysis.

6 John Heywood, of MIT, was one of the
7 expert on engines. And, Rob Fraley, who is in
8 industry, was at Monsanto, provided biotechnology
9 expertise input.

10 As you can see, these world-renowned
11 experts represent both academia and industry. And,
12 also it should be noted that beyond tech-, we had
13 expertise beyond technical technology.

14 We had experts in economics and policy,
15 such as Severin Borenstein, University of
16 California at Berkeley, and Rob Topel of the
17 University of Chicago.

18 Now I want to see the next slide. And,
19 as Clarence noted, this study is unique in its
20 scope, evaluation, analysis, and technology in the
21 review process.

22 We evaluated over 250 technical and
23 nontechnical hurdles, and after a very systematic

1 analysis, thorough evaluation, and three technical
2 reviews with the subject-matter experts, we arrived
3 at and downsized that group to 12 priority
4 technologies that are shown on this slide.

5 The study provides insight into these
6 hurdles, and what needs to be overcome for wide-,
7 wide-scale commercialization of advanced-fuels
8 vehicle systems by the year 2050. The 12 priority
9 technologies were arrived at by applying five
10 primary selection criteria.

11 One was: Do we realize the performance
12 that was, should be anticipated? Or, could we?

13 Attaining acceptable costs. That means:
14 Will we be able to reduce the cost of the
15 technology?

16 Will we accelerate deployment?

17 Will there be an acceleration of
18 technology development in the deployment? For
19 example, could we bring the technology forward,
20 say, what we perceived today, maybe 20 years out;
21 you know, ten years out?

22 Could we reach scale of material volume?

23 That is, will we be able to have the ability to

1 reach a commercial materiality and commerciality
2 and scalability?

3 And, finally, do the technologies help
4 facilitate fuel-dispensing infrastructure? So, as
5 we do this, we have a technical assessment being
6 produced by the peer-review process.

7 During the first peer-review process, we
8 looked at the technology scope and team
9 composition. The experts evaluated and validated
10 baseline data, and they also looked at the
11 credibility and the comprehensiveness of the data
12 set used as the basis of the analysis going
13 forward.

14 In the second review we looked at
15 technology-improved powerization process. And,
16 most importantly, during this second review, we
17 looked at and made sure there was a normalization
18 and a standardization in the analysis along the
19 pathway so that when we went to the integrated
20 analysis we had a consistency there.

21 And then also in the third review we
22 looked at specific technology issues and power
23 records. And in that third review we, which was a

1 final review, we looked at and confirmed that the
2 priority technology hurdles, and we reviewed the
3 approach to the integrated analyses and some of the
4 initi-, initial int-, integration results.

5 In addition, we provided over 20 -- In
6 addition, we provided over 20 study briefings
7 during the presentations with the study groups just
8 on topical subjects that addressed specific topics
9 and specific issues, and specific technical points.
10 These presentations were also supplemented by
11 written summaries.

12 Also, along with the priority
13 technologies, we also identified potential
14 disruptive innovations. And on this slide are a
15 few of the examples that we came up with.

16 These disruptive innovations are such a
17 magnitude that they are game-changers. Any one of
18 them would be transformational in the
19 transportation environment, and can move us off of
20 the accelerated technology curve utilization
21 curves into new paradigms.

22 However, I want to make sure that it is
23 understood that these innovations are not required

1 for wide-scale adoption of the fuel/vehicle
2 advancements that were identified with the 12
3 priority technologies.

4 These innovations were not considered as
5 a core technology analyses and evaluation, and
6 obviously they're not in, not inclusive of all
7 basic research opportunities, nor is the list
8 exhaustive. These disruptive innovations do
9 represent opportunities to shift the cost curve by
10 advantaging a specific pathway, or creating a
11 completely new pathway.

12 They can shift the cost curve relative
13 to fuel/vehicle technologies, creating a
14 significant advantage for a technology. And, in
15 concert with the disruptive innovations noted, the
16 study also commissioned topic papers to supplement
17 certain topics they have provided as part of the
18 study.

19 Of these 25 papers, about a-third of
20 them are also disruptive in character and nature,
21 and so we included this third in the "Disruptive
22 Innovation" section of the report.

23 In addition to the priority hurdles,

1 there are also other hurdles that need to be
2 overcome to introduce alternatives in the advanced
3 fuel, fuels in vehicles. And, this finding that's
4 shown on this slide addresses the challenges to
5 deploy, to the deployment and commercialization
6 which revolve, revolve around a need for
7 infrastructure and the consequent investment.

8 In that regard, there are two major
9 challenges to ascheme-, to, to achieving wide-scale
10 commercial deployment. The first challenge is, is
11 relatively obvious.

12 It's overcoming initial period of, of
13 long utilization of the infrastructure. The second
14 challenge is, is one of achieving infrastructure
15 technology advances that are required for some of
16 the fuel pathways, such as biofuels, where you need
17 to overcome technology hurdles related to
18 production, or hydrogen may need to overcome
19 hurdles, or must overcome hurdles related to
20 dispensing.

21 And, then the third challenge we arrived
22 at was a significant research and innovation cost
23 that would be needed to introduce new tech-, new

1 technologies, new fuels in vehicles, and we did not
2 try to quantify this, but it is fairly significant.

3 We identified, also, several strategies
4 to mitigate this transition issue, or these issues,
5 and focus, by focusing on the current development
6 of the infrastructure. For example, building on
7 existing infrastructure to minimize initial
8 investment.

9 In other words, you can say take
10 electricity and biofuels to leverage existing grid
11 in liquid fuel infrastructure. Or, in natural gas
12 you can leverage fuel distribution infrastructure
13 along heavy-duty freight corridors.

14 And, in that vein, the use of local
15 corridor or niche application deployment could be
16 used for such methods where loads of deployment
17 could improve dispensing infrastructure usage.

18 And, finally, another opportunity for
19 employ-, current deployment is through flex fuel,
20 biofuel, ultrafuel, plug-in hybrids to facilitate
21 transitions. This would allow vehicles to operate
22 in a fuel that is available when it's needed.

23 It would also allow for the building,

1 albeit it's going to be over a period of time, of
2 wider availability of new fuel dispensing
3 infrastructure be long structure.

4 That concludes my remarks on that
5 technology and infrastructure analysis and
6 evaluation, and now I'd like to turn it over to
7 Shariq, who will discuss the findings on greenhouse
8 gas emissions and energy security.

9 MR. YOSUFZAI: Thanks, Stephen.

10 As Linda mentioned during her remarks,
11 at its heart this is a technology study. And, as
12 Stephen just alluded to, there are substantial
13 technology and infrastructure hurdles that must be
14 overcome.

15 But, what we wanted to do here is to
16 provide a perspective on calculated greenhouse gas
17 emissions on a per-mile basis, as well as address
18 the question that Secretary Chu posed to us as a
19 supplemental question on perspectives to get to a
20 50-percent reduction in greenhouse gasses from the
21 transportation sector by 2050 relative to a
22 baseline of 2005.

23 At the outset, let me say that we used

1 carbon coefficients from Argonne National Lab's
2 Greek model. Many of you are familiar with this.

3 It's very comprehensive. It has 85
4 fuels and 100 pathways.

5 It is very credible, and it's very
6 transparent. So, most of the calculations are done
7 on the carbon coefficients that are included in the
8 Greek model.

9 So, let me take you through the slide
10 and each of the subbullets. As part of our
11 calculation, we did find that every vehicle system,
12 whether it was light-duty, medium-duty, or
13 heavy-duty, did achieve substantial reductions in
14 greenhouse gas emissions on a per-mile basis, and
15 up to 40 percent.

16 Relative to what portfolio produced the
17 lowest, in the light-duty segment, internal
18 combustion engines, hybrid internal combustion
19 engines, plug-in electric vehicles fueled with E-85
20 blends of advanced biofuels, excluding greenhouse
21 gas emissions associated with indirect land use
22 change, as well as fuel-cell vehicles with hydrogen
23 produced by steam methane reforming of natural gas.

1 These combinations resulted in the
2 lowest greenhouse gas emissions in the light-duty
3 sector.

4 In the medium-duty and heavy-duty
5 sector, the combination of natural gas and all the
6 improvements in medium- and heavy-duty engines,
7 aerodynamics that Stephen and Bill talked about,
8 resulted in the lowest greenhouse gas emissions on
9 a per-mile basis.

10 The second finding alludes to the fact
11 that we based our calculations on the assumptions
12 used in the AER 2010. And, during this period of
13 time, the vehicle miles traveled in the light-duty
14 sector increases from 60 to 80 percent, and in the
15 heavy-duty sector, by 100 percent.

16 So, even though there are substantial
17 improvements in the greenhouse gas calculations on
18 a per-mile basis, when you look at the vehicle
19 miles traveled, this counteracts those
20 improvements.

21 The study did find a narrow set of
22 conditions that resulted in about three percent of
23 the light-duty portfolio that we studied that

1 achieved a 50-percent reduction in the greenhouse
2 gas segment in the light-duty segment. And, these
3 included a sustained higher cost to driving,
4 primarily driven by sustained oil prices assumed in
5 the AEO 2010 records case, which led to reduced
6 BAT; valuing fuel economy over the useful life of
7 the vehicle of 17 years; assuming availability and
8 expanded use of economic and commercially available
9 advanced biofuels.

10 Light-duty portfolios were also
11 characterized by significant shares of FCEVs, or
12 fuel-cell electric vehicles, and limited shares of
13 CNG vehicles. Conditions that resulted in the
14 lowest medium-duty and heavy-duty greenhouse gas
15 emissions included nearly a two-time improvement in
16 heavy-duty trucks, significant penetration by
17 natural gas, and the availability of advanced
18 biofuels in light-duty vehicles.

19 However, the study did not identify any
20 portfolio of fuel vehicle systems that provide a
21 clear and cost-effective path to lowering
22 transportation sector greenhouse gas emissions by
23 50 percent by 2050 relative to 2005.

1 In order to do that, additional
2 strategies will be required. And, if you turn to
3 Page 41 and 42, at the end of your deck is a
4 supplemental section.

5 You'll see those addressed in detail
6 there.

7 Now, let's turn to the subject of energy
8 security. I see my friend Clay Bretches there in
9 the first row here.

10 And, he very ably led a companion study
11 that was alluded to earlier here called "The
12 Prudent Development of North American Resources,"
13 which said natural gas is big news, but oil is big
14 news also in North America. Clearly, affordable
15 energy that is accessible and reliable contributes
16 to national security.

17 In the years ahead, the U.S.
18 transportation sector could have an access to a
19 broad array of economically competitive fuel
20 systems. And, as the Prudent Development study
21 showed earlier, increased North American energy
22 production if both hydrocarbons and natural gas,
23 enhances our national security in energy, and

1 increases the affordability and accessibility of
2 conventional fuels.

3 Creating energy diversity certainly
4 provides for national security, but so does
5 reliability. And, though disruptions occasionally
6 occur, as happened with Katrina and Rita and other
7 black-swan events, the existing U.S. petroleum,
8 natural gas, and electricity systems are reliable,
9 they're robust, and they allow for relatively rapid
10 recovery in the case of disruptions.

11 So, Linda, that concludes my remarks,
12 and I'll turn it back to you.

13 MS. CAPUANO: Thank you, Shariq.

14 Moving to Slide 21, we'll now look at
15 the five study recommendations that derive from our
16 findings. First, should Government should promote
17 the same funding in other resources, either by
18 itself or in combination with industry, in
19 precompetitive aspects of the 12 priority
20 technology areas identified, as well as in areas
21 that could lead to disruptive innovations?

22 As Stephen commented, the priority
23 technologies are essential to commercialization by

1 2050, but they are challenging. And, while the
2 disruptive innovations are not required for
3 commercialization, any one of them can be
4 transformational and lead us to a new paradigm.

5 But, it's too close, too soon to choose
6 between those two next recommendations. There is a
7 great deal of uncertainty regarding which
8 individual fuel vehicle systems will overcome
9 technology hurdles to become economically and
10 environmentally attractive by 2050.

11 Therefore, government policy should be
12 technology neutral, while market dynamics drive
13 commercialization. However, the Government can
14 help smooth a path for commercialization.

15 The third finding, the Federal
16 Government should take a leadership role in
17 convening state, local, private-sector, and
18 public-interest groups to design and advocate
19 measures to streamline the permitting and
20 regulatory process in order to accelerate
21 deployment of infrastructure.

22 The Government can also help improving
23 uniforming, uniformity, and reduce the uncertainty

1 in greenhouse gas emission calculations. When
2 evaluating greenhouse gas reduction options, the
3 Government should consider full life-cycle
4 environmental impact and cost effectiveness across
5 all sectors.

6 It should also continue to advance the
7 science behind the assessment methodologies, and
8 integrate life-cycle uncertainty into policy
9 frameworks.

10 And, finally, -- Excuse me. And,
11 finally, the study members found sharing of
12 different industry perspectives eye-opening.

13 Understanding challenges from different
14 points of view, fuel/vehicle infrastructure and
15 technology has given us perspectives that we
16 believe are necessary for successful acceleration
17 of advanced fuel and vehicle commercialization.

18 Also, the priority technologies which,
19 described, are extensions of current technology and
20 all, are all doable with the appropriate focus and
21 cooperation. We, therefore, recommend that fuel,
22 vehicle, and technology providers should consider
23 existing or new voluntary forms that include

1 federal and state governments and other
2 stakeholders to address concurrent development of
3 vehicles and infrastructures.

4 This is a good-news story. Through
5 technology advances, the American driver will have
6 a choice of fuels and vehicles that are more energy
7 efficient, environmentally friendly, and energy
8 secure.

9 And, this concludes the presentations on
10 findings and recommendations. Thank you

11 THE CHAIR: A sincere thanks to the Team
12 here this morning and all 300 who worked on this
13 study.

14 Mr. Chairman, the Future Transportation
15 Fuels Committee, at its meeting on July twelfth,
16 unanimously supported moving this report to the
17 full Council for approval. Accordingly, it's my
18 pleasure to move that, first, the Council adopt the
19 report, subject to final editing; two, approve the
20 transmittal letter to Secretary Chu; and, third,
21 approve publishing on the NPC's website the study's
22 topic papers and modeling tools.

23 Mr. Chairman.

1 Committee, the Chairs of the Subcommittee and Task
2 Groups, and the many volunteers who have to
3 complete the work.

4 Above all, I'd like to thank you,
5 Clarence Cazalot, for a dedicated and wise
6 leadership of this project.

7 So, Mr. Secretary, it is with great
8 pleasure that the National Petroleum Council
9 submits the report to you. The effort that went
10 into this study was exhaustive, and, as you have
11 heard, considered the input of over 300
12 participants from diverse perspectives, including
13 the Committee and its various subgroups.

14 We are particularly grateful to you, Mr.
15 Secretary, for the cooperation and support of your
16 Department, as well as that of other government
17 agencies, and that we trust that you and others in
18 national, state, and local governments will find
19 the assembled data, the base, databases, analyses,
20 and insights useful in addressing the appropriate
21 balance among environmental, economic, and energy
22 security goals.

23 And, the Council looks forward to

1 sharing these study results with you, the
2 Administration, and the public.

3 Next, we will receive a brief update of
4 what has transpired on the NPC Prudent Development
5 Study which we reported to you last September, or
6 it was presented as part of the Council's response
7 to your request, Mr. Secretary, for advice on North
8 American oil and gas resource development.

9 Since September, the report and its
10 messages have resonated with a broad roof of
11 policymakers and relative users. Several users
12 have given numerous presentations to explain the
13 report to a varied set of audiences, and a summary
14 listing of those presentations are in the members'
15 packages on the table before you this morning.

16 Jim Hackett, who chaired the study that
17 produced this report, could not be with us today,
18 but Jim has asked Clay Bretches, the study Chair of
19 the Coordinating Committee, to give us an update.

20 And, so, clay, would you come and give
21 us an update this morning? Thank you.

22 UPDATE ON THE NPC PRUDENT DEVELOPMENT REPORT:

23 MR. BRETCHES: Thank you, Mr. Chairman.

1 And, good morning, NPC members and
2 guests.

3 Jim Hackett regrets that he cannot
4 attend today, but sends his regards, and asks that
5 I update the NPC membership on the year's
6 activities since you approved the report we did
7 last September and presented it to Secretary Chu.
8 And, after I briefly recap the study's process and
9 its key messages, I will bring you up to date on
10 recent activities and progress in implementation of
11 our recommended steps forward.

12 As you will recall, the genesis of the
13 report occurred in September, 2009, when Secretary
14 Chu issued a letter requesting that the National
15 Petroleum Council address five key tasks: Assess
16 the North American resource base; describe the
17 operating practices and technologies that will be
18 used to minimize environmental impacts, expanding
19 accessible sources; assess supply and demand
20 through 2035, with views through 2050; identify
21 emust-, emission reductions stemming from increased
22 use of natural gas; and advise on policy actions
23 that will allow permanent development consistent

1 with national objectives for the environmental
2 protection, economic prosperity, and energy
3 security.

4 Participation in the study was broad,
5 with over 400 participants from large organizations
6 and beyond. As a reminder, over 50 percent of the
7 participants came from outside the oil and gas
8 industry, and in total, the participants in the
9 study represented over 100 companies, agencies, and
10 institutions.

11 Starting at the top, our four major
12 findings began with the fact that the natural gas
13 resource base is enormous, and its development is
14 potentially transformative for the American economy
15 and energy security.

16 Second, and surprising to me, was the
17 fact that the North American oil resource base was
18 larger than previously thought, and offered
19 substantial supply for decades ahead, and can help
20 the United States reduce oil influence from outside
21 of North America.

22 Third, Americans will need natural gas
23 and oil for much of their energy requirements for

1 the foreseeable future, even as alternatives become
2 available.

3 And, finally, perhaps one of the most
4 important findings is that in order to realize
5 these enormous benefits of these resources, safe,
6 responsible, and environmentally acceptable
7 production and delivery must be achieved.

8 Based on these findings, we recommended
9 five core strategies: More focus on improving
10 resource development through regulation; a better
11 understanding by policymakers of environmental
12 impacts from fuel and technology choices; continued
13 efforts to tap economical energy-efficient
14 opportunities; substantive enhancements to energy
15 markets, particularly as we see oil and natural gas
16 in the energy mix; and, lastly, support of
17 intellectual capital with roots involving energy
18 technology and innovation.

19 Prudent development was a recurring
20 theme for the study. And, prudent development was
21 simply defined as a balancing of impacts on both
22 the environment and the public, with the benefits
23 of energy security and economic prosperity.

1 Prudent development is essential for
2 public trust and confidence, a requirement for
3 continued and expanded access, and furthermore, for
4 the long-term growth and success of the industry.

5 Now for what has occurred since the
6 report last September. The publication and
7 dissemination of the report, the communication of
8 the steady stream of messages, the industry's
9 commitment to prudent development practices, the
10 growing recognition of the abundance of resources
11 in North America, and finally, policy actions.

12 As to the publication and distribution
13 of the report, following the approval, the report
14 went through final edits and data checks, and was
15 printed in two volumes, summary, and full-volume
16 report versions. Many printed copies have been
17 provided to NPC members, study participants,
18 government, and other interested parties.

19 In addition, the report volumes and a
20 wealth of support information have been made
21 available for public reading and downloading from
22 the NPC website. These include the two report
23 volumes, 55 topic and White Papers, multiple slide

1 presentations from the September NPC meeting, and
2 many of the numerous briefings that have been given
3 over the past year.

4 Also included are the Press Release on
5 the report, and webcasts about the September
6 approval, and the press conference that followed
7 thereafter. Since this study's completion, study
8 leaders have delivered over 75 presentations to
9 diverse groups of audiences here and abroad.

10 In addition to the NPC membership, the
11 broad range of audiences included the White House
12 staff, members of the executive departments and
13 agencies, such as the Interior, Commerce, and EPA,
14 and, of course, the Department of Energy;
15 regulatory bodies, such as FERC, NRD, and NRDCC;
16 congressional committees and staffs; international
17 groups, including the International Energy Agency,
18 Canada, and China; national trade and op groups;
19 various nongovernmental organizations; associations
20 and professional societies such as AGA, ABI,
21 IP-double-A, the National Academies of Sciences,
22 and the Society of Petroleum Engineers; investor
23 groups, administrators, and those involved in the

1 power generation and petrochemical sectors;
2 universities that include Rice, Stanford, Johns
3 Hopkins, and others.

4 And, we continue to receive requests
5 from a very diverse group of audiences for
6 presentations.

7 The report's first recommendation was to
8 support prudent development, including steps by the
9 oil-and-gas industry such as establishing Regional
10 Councils of Excellence, increasing community
11 involvement, and improving the measurement and
12 reduction of methane emissions.

13 I am pleased to report that our industry
14 is committed to these goals and their
15 implementation. Over the past year the Operations
16 Chair of Recommended Practices Group, a consortium
17 of 11 of the Nation's largest natural-gas and oil
18 producers, was established and made public the
19 Recommended Standards and Practices for exploration
20 and production of natural gas from operations
21 source.

22 This group is highly consistent with the
23 NPC's Council of Excellence recommendation, and the

1 group's efforts have been received and endorsed
2 from STRONGER, the State Review of Oil and Natural
3 Gas Environmental Regulation.

4 Other such groups, as the Hungerford
5 (phonetic) Task Force in south Texas are exploring
6 the establishment of forms for ensuring standards
7 and practices, as is the Various Sands Winship
8 Initiative in Alberta, Canada. Efforts are also
9 underway for Councils of Excellence in Rocking's
10 (phonetic) areas of operation.

11 In addi-, in addition, regulations are
12 being approved, thanks to efforts of STRONGER,
13 helped in part by additional funding from the
14 Department of Energy.

15 With regard to fugitive emissions,
16 industry is working with EPA to improve measurement
17 and reduce methane emissions associated with the
18 development and transmission of natural gas. Also,
19 Energy-led initiative is underway which studies
20 methane emissions from wellhead to burner tip and
21 is including multiple industry participants.

22 Industry help support the widespread and
23 varying recognition that the abundance of natural

1 gas in North America, as well as a great new source
2 potential for oil; further, that the development of
3 these oil and gas resources will make a significant
4 contribution to our nation's economic, energy
5 security, and geopolitical well-being.

6 The world recognition has been evidenced
7 in numerous articles in the national and
8 international press and other media, including
9 articles by David Ignatius, Bob Sanderson, and also
10 by NPC members Robin West and Dan Yergin.
11 Statements also by the President, other members of
12 the Administration, Congress, and other government
13 officials, investment decisions by electrical,
14 chemical, and other industries, and growing
15 recognition from other public and private readers.

16 The NPC Prudent Development report is
17 quoted in many hearings, public discussions, and
18 other forums. Ultimately it is not the measurement
19 of progress.

20 In my opinion, NPC's report have
21 contributed to actions including the President's
22 April, 2012, Executive Order supporting safe and
23 responsible development of unconventional domestic

1 natural-gas resources, the multi-agency mor-,
2 Memorandum of Understanding to bolster interagency
3 corroboration on unconventional oil and natural-gas
4 research between the Departments of the Interior,
5 Energy, and EPA.

6 States, BLM, and industry are taking
7 steps to publicly disclose the chemicals in
8 hydraulic fracturing through means such as
9 FracFocus, providing foundations for establishments
10 of Councils of Excellence, heightening awareness of
11 STRONGER, and how this group can improve States'
12 regulatory performance, and accelerating dialogue
13 between FERC and harmonizing power and natural-gas
14 industries, which is paramount now that natural gas
15 has come to a parity with coal for power
16 generation.

17 And, finally, contributing information
18 and advice to the international agencies golden
19 rules of sure gas development, invest in foreign
20 countries striving to develop their indigenous
21 resources.

22 In summary, I believe that the NPC
23 Prudent Development Report has been well-received

1 and has had an impact, not only on development and
2 use of domestic natural-gas and oil resources, but
3 is having a significant impact on greater
4 development as well. The North American gas and
5 oil industry is clearly the leader in
6 unconventional resource development and is also
7 looked to for prudent development practices that
8 will have far-reaching impacts around the world.

9 Mr. Chairman, this completes my update.
10 I'll be glad to answer your or any of the members'
11 questions.

12 MR. O'REILLY: Stay there. Before you
13 move away, --

14 Are there any questions from NPC members
15 for Clay?

16 (Whereupon, no response was had.)

17 MR. O'REILLY: Okay. Thank you very
18 much, Clay.

19 Appreciate that, that, that report, and
20 all the work that, that has been done by those
21 involved in that study to further communicate it.
22 And we're almost a year now since it has been
23 delivered to Secretary Chu.

1 Before I invite Dan Poneman here to
2 introduce Secretary Chu, I just want to take this
3 opportunity to thank the, the DOE and its people
4 for their involvement with the NPC. I think the
5 fact that we've got three top members of the
6 Department here on the podium today is the
7 indication of their level of engagement with the
8 NPC, and the importance attached to the work the
9 Secretary commissioned from us just three years
10 ago.

11 So, please, let's give them a round of
12 applause for their involvement.

13 (Whereupon, applause was had.)

14 MR. O'REILLY: I would now like to
15 invite Dan Poneman, Deputy Secretary of Energy, to
16 say a few words and introduce Secretary Chu.

17 Dan, come on up. Watch your step.

18 MR. PONEMAN: Yeah. Thank you, Dave,
19 and thank you for your stellar leadership of NPC
20 for all these years.

21 And we have benefitted enormously from
22 your leadership. I want to say that life is too
23 short to work on B problems.

1 I think what we've heard all this
2 morning shows that National Petroleum Council has
3 absorbed that lesson. With the prudent development
4 of North American oil and gas resources as the
5 subject for today's meeting, I'd like to
6 acknowledge Joe Hackett and Clay Bretches on their
7 earlier study.

8 Whether you are looking at our
9 quadrennial technology review, whether you are
10 considering the transformation of our gas markets,
11 whether you are looking at the President's
12 all-of-the rest strategy and his commitment to the
13 transformation of our vehicular fleet, it is clear
14 that the study that is the subject of today's
15 meeting, future of transportation fuels is one that
16 is of vital importance to all of us.

17 And, I would just like to reiterate,
18 before introducing the Secretary, from the
19 Department's perspective, our enormous gratitude to
20 the NPC for taking on this task, and for the
21 comprehensive and thorough approach it is taking to
22 the stewardship of this report. And, in this
23 respect I'd like to acknowledge, first and

1 foremost, the outstanding leadership, patience,
2 determination, balance, and drive that Clarence
3 Cazalot has demonstrated from the beginning.

4 So, I'd like to ask for a round of
5 applause for Clarence.

6 (Whereupon, applause was had.)

7 MR. PONEMAN: Clarence, well-supported
8 by Linda Capuano and her team that is away,
9 partially there and partially here on the dais, as
10 earlier acknowledged, John Deutch, John Watson, Jim
11 Owens. They've all been incredible leaders in
12 helping steward this report to the moment that we
13 are now experiencing of its presentation and
14 approval by the Council.

15 I'd also like to acknowledge the
16 tremendous work by my colleagues. Here you have
17 David Sandalow, but former, Arun Mujamdar and Steve
18 Koonin spent a lot of time working on this, and
19 technological aspects of the report have been very
20 much a product of, of their support.

21 Now it is a distinct honor and privilege
22 to have the opportunity again to introduce
23 Secretary Stephen Chu to all of you. In addition

1 to having brought to the Department of Energy a
2 level of scientific depth and analytical integrity
3 that is absolutely unprecedented, he has been a
4 thought leader in every sector of the President's
5 army of energy strategy.

6 He has not only contributed
7 analytically, but he's contributed practically.
8 And, I think all of us owe a bit of gratitude to
9 him for the extraordinary work he and a team of
10 scientific colleagues put into the effort to
11 address that very challenging situation we face in
12 the Gulf of Mexico.

13 The President has relied on him
14 extensively as the thought leader and as the
15 rational voice and driving force behind all of the
16 above energy strategy that is bringing us to a new
17 level of energy security, as we've already heard a
18 bit here this morning, and new levels of prosperity
19 for our nation.

20 It is an effort that is well-launched,
21 it continues to benefit from his wisdom and his
22 guidance, and it is my pleasure to introduce to all
23 of you, then, again, Secretary Stephen Chu. Thank

1 you.

2 (Whereupon, applause was had.)

3 SECRETARY CHU: Thank you. This is a
4 weak stage.

5 It's a very short back. In case you
6 take a long step, I guess you just disappear.

7 I, I'm, I'm very happy to be here and
8 appreciate all the work; or course, David O'Reilly
9 for all his leadership on National Petroleum
10 Council. As Dan Poneman said, we're especially
11 appreciative of all the hard work that have been
12 done that have been put into these two reports,
13 especially the, the Future Transportation Fuel
14 Cell.

15 Clarence, thank you again for your hard
16 work and the Committee's hard work. It's not only
17 hard work.

18 As I've listened to you, I, I will
19 promise you, as I did before, I'm, I'm kind of a
20 sponge for this sort of stuff, so I read every
21 word. I haven't done it yet.

22 But, I, I was listening to -- Especially
23 since it's, by and large, a technical report. And,

1 I've looked at the list of subject-matter experts,
2 and I know two-thirds of them, some very closely.

3 And, the -- I would have loved to be a
4 fly on the wall during those discussions. They,
5 they are not shy and retiring types.

6 But, but, it's important that we have
7 reports like this from the NPC. And, very
8 important -- It's very important because these are
9 questions that really need the voices of all the
10 stakeholders in the country.

11 We need the voices of all the
12 stakeholders in the most analytically dispassionate
13 analysis of what's going to happen, what is
14 happening, and what will happen in the future. I
15 would also like to say that when I chaired the
16 Committee a while back, I did it with malice
17 aforethought.

18 I -- What's the malice? Well, it's, you
19 know, two-thirds -- This isn't the type of a charge
20 that -- Well, you know, so I was asking you to
21 predict what will happen in 40 years.

22 Now, ultimately, if you ask me what will
23 happen in 40 years, the first thing I'll say is,

1 "Whatever I say will probably be wrong." If you
2 just think about it, Wright Brothers' first flight,
3 December, 1903.

4 Sixty-six years later, man on the moon.
5 Who'd-ah-thunk that would have happened?

6 So, a lot can happen in 40, now 38
7 years. Still a lot can happen.

8 So, we will conduct that. And let me
9 make a few, a few brief remarks.

10 First, particularly transportation
11 energy is something that is very important,
12 especially in the United States, as, as it's a very
13 important part of our energy needs; to many, the
14 most important in many respects. And, it's the
15 second-highest expense for most American household
16 budgets.

17 For families making less than \$50,000
18 annually, it can be the largest expense. The
19 largest overall expense in their budget is
20 transportation, not housing.

21 So, that's one of the things. Point
22 number two, it's reported out that we, that if you
23 just turn the clock back ten or 15 years, no one

1 would have suspected what is rapidly being
2 realized, not only in North America, but in all the
3 world, about the new potential resources that the
4 technology for finding both con-, quote,
5 conventional oil, but, but the technology of
6 getting those reserves out of the ground at higher
7 and higher fractions, where maybe several budgets
8 ago it used to be 30 percent; now you expect 50
9 percent, and, by golly, in some instances you
10 better get 70 percent, and still increase a factor.

11 Not only shale gas for gas, but shale
12 gas liquids, and now shale oils. I remember
13 briefing Secretary Bodman in the secret room in
14 Department of Energy.

15 I don't know why it was secret. This
16 is, this is maybe eight years ago.

17 And had the Secretary of Treasury was
18 there, the head of the AEC was there, and we were
19 talking about various energy solutions, tools, and
20 why energy independence, especially in
21 transportation. And, there was some question about
22 shale oil.

23 And, this was not that long ago, but at

1 that time the theory was you can only get shale oil
2 out by expending massive amounts of electricity to
3 heat up the rock. Okay?

4 Remember that? Not so long ago; during
5 Secretary Bodman's time.

6 So, things have radically changed. Now,
7 having said that we -- It is our belief as a
8 country, as an industry, and the Department of
9 Energy, to make sure that these resources are
10 developed, but developed in the most
11 environmentally responsible way possible.

12 This is something we really believe, and
13 we very much are asking for funding to help improve
14 not only the rapidly growing set of best practices,
15 but the next so they improve, and to help improve
16 that, to actually know, you know, the seismic
17 technologies: what to do, where to frac, how not
18 to frac; to allay some of the concerns about fusion
19 emissions; to, to minimize that; to, to figure out
20 how to dispose of water, you know, in a much safer
21 environmental place.

22 All of these things are certainly, I
23 believe, solvable problems. But, they need more

1 work, and, and I think you agree that we do really
2 want to develop these resources.

3 It's a tremendous burden, but it's a
4 chance to develop them in an environmentally safe
5 way. It was mentioned, DOE spent several months
6 worrying about what kind of an oil leak; another
7 month or two worried about the Fukushima accident.

8 And, it actually, when we were doing
9 that, -- And this is not only about, you know, an
10 hour or two a day. This is clear, like, all day
11 and night.

12 It does realize that there are many
13 things you can do to actually be very inexpensive
14 mitigation procedures. And, that's, again, some of
15 what we want to focus on.

16 Petroleum-base fuels are going to be
17 part of our energy base, certainly for half a
18 century, but three-quarters of a century. It, it's
19 just, it's just a fact of life.

20 It's not only a fact of life. It, it's
21 -- Petroleum-based fuels, especially got, very
22 high-energy fuels that are used in diesels and in
23 airplanes are something that we are still working

1 -- as was point out, using research and development
2 to get next-generation biofuels that can achieve
3 the performance and energy density of these fuels.

4 So, we see this as a very important part
5 of the future. But, having said that, it's
6 something where we want to, while we've got these
7 resources, we want to use the resources in the most
8 efficient way possible, looking at sites for the
9 best benefit of our economy, our prosperity, and
10 our environment.

11 Efficiency is something that was
12 mentioned that both sides can debate efficiency.
13 There you can read the report, because, you know,
14 I, for the last five or six years, have been
15 following this very closely, and the last three
16 weeks, in writing the paper, were hooked very much
17 into many of these aspects.

18 Vehicle efficiency, you can start with
19 the internal-combustion engine, and cars. As was
20 noted, that's going to be a mainstay for quite a
21 while.

22 But, there can be things. A lot can
23 happen to internal-combustion engines.

1 Many of you may know, Ford, for example,
2 is producing a three-liter engine. Sorry, not
3 three-liter engine; three-piston engine, one-liter
4 engine with about 118 horsepower, 120 foot-pounds
5 of torque.

6 Its footprint is on an
7 eight-and-a-half-eleven-inch sheet of paper. It's
8 about yea-big.

9 It, it, you know, will have 20-percent
10 more horsepower than my two-liter-engine car of 20
11 years ago. It's amazing that you can produce an
12 engine and it be -- And that's just the beginning.

13 Reduction -- Slightly higher octanes,
14 just premium octanes. Good fuel injection.

15 A lot of other technologies that are
16 happening. The 25-, 30-percent efficiency of
17 internal-combustion gasoline engines can get very
18 close to diesel engines for the 25-percent
19 efficiency.

20 So, that's where it's at. Friction:
21 The friction of the drive-, the friction, the
22 actual friction of the engine and drivetrain can be
23 decreased substantially.

1 And, these are all money-saving things
2 that can actually make driving much less expensive,
3 much more economical. There was a recent paper
4 published where they estimate -- These are experts
5 in tribology.

6 That's the engineering science of change
7 in friction. They said just the normal friction
8 things, you know, metal wear and that, were
9 20-percent reduction in near-term, and maybe up to
10 60 percent with, with different materials,
11 hardening, in the 15-, 20-year term.

12 Aerodynamics with trucks. You know, you
13 see these very sleek trucks now on the road.

14 The adoption was over a period of three
15 years of the streamline of the cabs. A
16 high-performance commuting simulation is optimizing
17 that, but we're also discovering in the Department
18 of Energy, if there's a little plastic insert
19 placed on the back of these 18-wheelers just before
20 the rear wheels, it can save another seven to ten
21 percent of the 18-wheeler.

22 The buyer said, "Oops. It's too
23 expensive. It's \$5,000."

1 So, we redesigned it by the engineers
2 and they got most of that savings with a \$1,000
3 part that a single person can snap on. Five to
4 eight percent.

5 That's a lot when these 18-wheelers go
6 100,000 miles, which is the average, per year;
7 \$80,000 diesel-fuel bill a year. And just say I
8 get to five to eight percent for 1,000 bucks a
9 pass.

10 Good. So, so, these are just examples
11 of, of, of what we're doing at the Department of
12 Energy.

13 Electrification: It's, it's a -- Right
14 now the batteries are being, with Chevy Volt, a
15 spectacular car, and some of these others. But,
16 the price is higher, maybe by ten-, \$12,000 from
17 the conventional cars.

18 And what our part in the Department of
19 Energy is is to improve the battery, battery
20 system, electrical system, motor system of the car
21 so that you can buy a, let's say, a hybrid at 20-,
22 \$25,000 with a 40-mile range, or an EV with a
23 150-mile range at the same price. And, if you get

1 to that price range without subsidy, same cars
2 without subsidy, -- All of our targets are
3 without-subsidy targets. That's very important.
4 -- then, then, within three or four or five years
5 at \$3.50 a gallon, you're, you've paid for it, that
6 vehicle.

7 And, I think if you get that 20-,
8 \$25,000 -- Let's say about \$23,000 hybrid at the
9 same, you know, a Chevy Volt-type conformance, many
10 Americans will just say, "Hey, done deal." You
11 know, because the, the ability to have that
12 stability, the ability to fill her up once every
13 other month is, thrills them.

14 So, this is something. But, the -- But,
15 you've got to have that technology development.

16 We do not have that battery today. The
17 good news is over the last five, eight years, five
18 years, especially, I've seen stuff that I hadn't
19 seen 15 years ago.

20 Before I came to this job I was a
21 scientist at a battery company. So, I knew a
22 little bit about this stuff.

23 And, the, the stuff in the labs now is

1 startling. Battery/engine density was still being,
2 the higher-temperature performance, so, so you
3 don't have to be quite so concerned about the
4 cooling aspects of it.

5 There's still more remarkable things.
6 That's a doubling, we think, of the testing cycles
7 for your test cycle in another couple of years.

8 It's already in the laboratories, and,
9 and the battery system itself, -- Sorry I'm going
10 on so long, but I'm a techie, so you'll have to
11 bear with me. You know, we only use half the, half
12 the battery for, to make it last 17 years.

13 We would really like them to last 15
14 years plus. Many discharge cycles.

15 That's the goal. But, weather is heavy
16 because it's backed way off due to weather
17 conservatism.

18 And so one of our goals is develop in-,
19 in situ in battery, inside, not the outside, where
20 you can sense these, the conformance of the
21 battery, and then you can use a lot more of the
22 battery, maybe two-thirds, three-quarters of the
23 battery. And so we see technologies like that

1 being developed.

2 So, these are all great diversification
3 of natural fuels. As mentioned, natural gas is,
4 is, is doing great things.

5 Shauer's investing, I think it's \$200
6 million in inner-city liquid natural-gas fueling
7 stations for heavy-duty trucks. Another consortium
8 is mostly targeting about a half-a-dozen, dozen
9 cities, mostly liquid-nitrogen gas, again being the
10 analysis already works out for long-haul trucks at
11 100,000 miles.

12 The added investment is a four-back,
13 four-year payback period. And, and, as you get
14 more manufacturers, you know, because it's a
15 \$100,000 truck, but some of the manufacturers are
16 charging another 80-, \$100,000 putting the
17 liquid-nitrogen tanks and the fuel-handlings
18 systems.

19 But, if you got a few competitors, we
20 can get it brought down to 30-, \$40,000. And, the
21 payback period is a couple of years.

22 So, this is very big, because it
23 diversifies our reliance on just a single source of

1 transportation energy, which is very important. In
2 varied vehicles, other vehicles, not as clear, but
3 we are doing a lot.

4 We're investing in new corridors of
5 research to try to figure out how to, how to get
6 inexpensive tanks that can store compressed natural
7 gas, possibly hydrogen as well. It's -- Either the
8 materials or absorbance, very important.

9 It is mentioned, biofuel cars. It might
10 be in the consciousness of people, but you can have
11 a, a, a vehicle, either a delivery vehicle or
12 personal vehicle that has a small natural-gas
13 compressed tank and a gasoline tank.

14 And, the same engine could run both if
15 you flip a switch. And it turns out that Fiat was
16 going to market this car a few years ago, but
17 didn't do it.

18 I mean, so it is not only possible. It
19 is something that's very, very -- It's, it's easier
20 to make a bi-fuel car that runs on natural gas and
21 gasoline than it is diesel and gasoline.

22 In fact, it's very hard to do that. So,
23 it turns out that you can have the equivalent of a

1 plug-in hybrid, so you can fill up at home on
2 natural gas for the first 40 miles, you don't have
3 the road problems because you don't have the rapid
4 -- you begin to build up the infrastructures.

5 So, that's a possibility. It, it's
6 technically here today.

7 And, and so it's worth hearing about as
8 to whether these bi-, so-called bi-fuel cars might
9 be possible. Again, it's to diversify choice to
10 the consumer, to industry; all very important.

11 So, -- But, these are, these are
12 look-aheads. These are future technologies.

13 They have to be cost-compared. They
14 have to be varied.

15 They have to build those things. I
16 could go on for hours about bi-fuels.

17 None of these are -- You know, the, the
18 battery I was talking about, I can't sit here or
19 stand here and say we're going to have this in your
20 automobile in five or ten years. I will be
21 surprised if they won't be here in ten or 15 years,
22 but it's still -- Hey, it's the future.

23 We don't know. And -- But, it is

1 rapidly developing.

2 That's very exciting. One last thing.

3 All the technologies I've talked about,
4 from the fracking techs and shale technologies, to
5 the commercial investing on methane hydrates, I'm
6 guessing they may be recoverable instead of just
7 clogging their lines, to vehicles, to advanced
8 biofuels, to galvanized materials, to better
9 internal-combustion engines, to better covered
10 systems, these are technologies that the United
11 States is well-poised to be a leader in the world
12 in.

13 We should be the leader, and are the
14 leader leading the world to show other countries
15 how to develop very positive resources in an
16 environmentally responsible way. We should also be
17 the leader for all these other technologies that
18 the world will want and that we can exploit.

19 And, this, too, goes directly to what
20 this is about. It's not only, only about energy
21 and fuel.

22 It's all about the technologies, which
23 show the best side of America, and will be the

1 foundation for our economic prosperity. And so,
2 there, that, this is something I feel very strongly
3 about.

4 Groups like this I see as -- I want to
5 be -- I see as very strongly about you, and feel
6 very strongly about you in this, in this discussion
7 with all the so-called -- You know, some people
8 might not believe what happened. Other people
9 feel, they're convinced it's going to happen.

10 But, again, who knows? I'm an optimist.

11 But, again, I just want to say thank
12 you, again, to NPC for all that you've done,
13 especially all the hard work that you've done in,
14 both in the reports. And, so, I will -- I've very
15 appreciative of that, and will study it very
16 closely.

17 So, thank you.

18 (Whereupon, applause was had.)

19 MR. O'REILLY: Senator Chu has agreed to
20 take a, a few questions from Council members. If
21 the Council members have any questions, this will
22 be a good time to -- Are there any questions?

23 SECRETARY CHU: Don't be bashful.

1 MR. O'REILLY: I have -- Mr. Senator, I
2 have one. This is not quite on topic, but the, the
3 issue of battery development for energy storage,
4 which would help with battery deployment of a
5 vehicle --

6 SECRETARY CHU: Right.

7 MR. O'REILLY: -- energy, what are the
8 prospects for that?

9 SECRETARY CHU: Very good. First, if
10 you -- The grid -- People don't realize how our
11 grid operates.

12 It, it -- Well, since many of you have
13 come from technical backgrounds I think, the
14 near-term -- I don't know where you went in
15 college. How an electrical system works, well
16 voltage is like pressure; current is like flow; and
17 all those other things.

18 So, think about a plumbing system. You
19 put water at the top and it flows downhill.

20 It's higher voltages to lower voltages.
21 And you overfill the lines because you want the
22 electricity to go way out in the distribution ends.

23 And, then you lose one or two percent.

1 That's okay, but, because you just want to make
2 sure that people still have their voltage
3 stability.

4 You treat it on a scale of not at the
5 highest gigawatt hour, but at a megawatt. A
6 megawatt you want it out there would help a lot in
7 both the bow of the system, the robustness of the
8 system.

9 So, what are the plans for those
10 batteries? Well, it maybe in millions, because you
11 have to have a fuel at a nonessential place.

12 They better be -- They're going to have
13 to work in both low temperatures and high
14 temperatures, and they've got be able to fix them,
15 you know, the water hoses on them and all that sort
16 of stuff. And, what's the likelihood of that?

17 It's getting better and better. Our
18 batteries are now being tested that can switch on
19 at temperatures, without cooling, up to 55, 60
20 degrees C that are being actually tested in
21 Indonesia.

22 Prices are a little high, but, but, but
23 the companies are saying you could come down, you

1 know, but, but it's about \$50 per kilowatt hour,
2 they'll go everywhere. And, as I say, they make
3 the system much more robust, much more amenable to
4 go out on the road, all of these other things that
5 -- the variables.

6 They should provide a public standard.
7 The amazing thing about this is this is going to be
8 driven by the automobile industry because that
9 battery, well, you know, that's a market, and the
10 eternity market, well, they're very conservative.

11 And, and, so, it was kind of sitting
12 around. But, all of a sudden, this young
13 generation of, of the plug-in hybrid EV market, and
14 they said, "Oops."

15 And then they were finding a cataclysm
16 of the technologies that were all these inventions
17 or, and sometimes universities where it looked to
18 be exciting. Both the density, but also
19 robustness, maintenance-free for a very long time,
20 and not a, you know, okay.

21 So, that's a real possibility. You
22 know, that's where I give you 50/50 odds.

23 Up to -- But, but, we really tested

1 those batteries, after that.

2 MR. O'REILLY: We have some microphones
3 in the room now. Question here?

4 Microphone coming. Just identify
5 yourself as you ask the question, please?

6 Thank you.

7 MR. JULANDER: Mr. Secretary, Fred
8 Julander, Julander Energy in Denver.

9 On your watch our businesses were
10 completely transformed. We've gone from a fear of
11 recoil to a discovery of resources and the ability
12 to extract them.

13 We, we just, we'll be around for much
14 longer than anticipated a few years ago. This has
15 a lot of ramifications.

16 I wonder, from your position and your
17 vantage point, what's your take on this
18 transformation? What's it mean for the country and
19 the world, and what's it do for our industry?

20 What, what does it impose upon us?

21 SECRETARY CHU: Good question. All
22 right.

23 Very good question. First of all, as

1 everybody in the room knows, it may be on my watch,
2 but this was, seed was laid a long, long time ago.

3 I mean, the fracking stuff had, had, had
4 people working at this in the '40s and '50s. The
5 Department of Energy, '78 to '92, funded horizontal
6 drilling and contract fracturing after the private
7 sector didn't think it was -- You know, they were
8 losing their appetite.

9 But, then, after '91, Schlumberger
10 picked it up and right after that it, it started
11 going. And, that was in the last decade.

12 So, so that's a good thing. Not
13 everybody might say that's a good thing, but I say
14 it's a good thing.

15 It's a good thing because it doesn't
16 mean, you know, "Oh, energy problem over? Oh, you
17 know, we don't have to worry anymore."

18 No. The, the, the answer to the problem
19 is a very complex problem.

20 But, it does mean -- Actually, looking
21 now, I, I didn't think -- Before this, I didn't
22 think there would be a peak. I thought there would
23 be a plateau, and then the price-lifting cost

1 would, would adjust.

2 And now, within the past, you know,
3 within in the past, I think it can be stable for a
4 long time, and still you can, you can meet
5 supplies. We still have a volatility issue, but
6 it's tricky because of the time developing.

7 But, I think it's -- But, well, having
8 said all these things, I still worry about
9 greenhouse emissions, greenhouse gas emissions.
10 But, -- So, that's why I'm talking about energy
11 efficiency.

12 I'm talking about all those other
13 things, but, but it does not -- But, but, it means
14 you can have a moderate price to make the
15 transition, but the planes don't crash, things like
16 that. It does change the whole geopolitical
17 spectrum.

18 Well, there for a while, though, it was
19 looking like there's a chance it could be swinging
20 drastically by the -- But, it could actually be
21 oil-neutral, okay? So, for the first time people
22 were saying, "My gosh. If you developed the
23 resources responsibly now, you could be, North

1 America might be oil-neutral for a couple decades."

2 So, we shouldn't take our eye off the
3 ball. We probably -- I -- There are considerable
4 risks.

5 The uncertainty is large, but there are
6 considerable risks. So, we have to -- Sure, there
7 are greenhouse gas emissions we have to bring down,
8 but it's not as though we are on an economic cliff
9 for, let's say, 50 years, and the run on the price
10 of gas goes to \$400 a gallon.

11 I don't see that happening, you know,
12 right now. But, we shouldn't say, "Oh, that means
13 we can just stop thinking about these issues."

14 So, you know, it's -- It looks bad, but
15 it's, but, but, you know, but it's a good thing to
16 know that it means the United States is exporting
17 less money. It's -- We're using more of our own
18 resources, but we should use our own resources
19 wisely.

20 And, we should -- Well, natural gas,
21 especially, is, someone said here in this room,
22 natural gas is now the, cheaper than coal. All
23 natural gas is definitely cheaper than coal; half

1 the carbon.

2 But, it doesn't mean that storing carbon
3 is bad, but it's, it's a mutual position because
4 you can build natural-gas generators. And, you
5 talk about going zero to 60.

6 You can go from zero to about 400
7 megawatts in ten to 15 minutes. That means the
8 design of the jet engines can go up and down, which
9 means that's the time they need to, to, you know,
10 with all the wind's upwind, so all the wind's
11 dying.

12 So, you don't have to have hot spot
13 reserves. And so those are the kind of things that
14 conserve on fuel, but the, the ballast has a
15 transition mode.

16 So, these are opportunities I think we
17 should consider in the future. So, that's
18 half-century, two-thirds century.

19 MR. O'REILLY: Question from here.

20 We'll take one more question, and then --

21 MR. HOFMEISTER: Mr. Secretary, John
22 Hofmeister, Citizens for Affordable Energy.

23 Infrastructure is always the bugaboo of

1 alternative fuels because of the economic issues.
2 And, and whether it's something like hydrogen, or
3 whether it's other alternative fuels, does the
4 Department of Energy ever consider a regional
5 strategy where we live in a country where we love
6 ubiquity and we want the whole country to adopt
7 instantaneously so many products.

8 But, what's your mindset when it comes
9 to regionalizing infrastructure for the economic
10 opportunity in, in a shorter timeframe?

11 SECRETARY CHU: I'm with you. If you
12 want to -- For example, this is my thinking.

13 Why not get our hydrogen from
14 natural-gas reforming and certain technologies that
15 are, you know, the target would be first \$2.00 a
16 kilogram, then down to \$1.00 a kilogram. A dollar
17 a kilogram would be a very exciting price.

18 But, then, we don't have an
19 infrastructure. But, you're -- Where you use
20 natural gas, you use some modifiers to, to, you
21 know, redo the mix for our higher-value products.

22 There are technologies you can burn
23 natural gas in partial hemispheres where you get

1 hydrogen, you get a lot of the, where you shift it
2 to hydrogen-CR0, you shift that process to more
3 hydrogen-CO2. You get more CO2.

4 If you're anywhere near an oilfield,
5 that's good. Okay?

6 You're recovering the content in the
7 reforming process generating electricity. That's
8 good.

9 And, you have some hydrogen. So, then
10 it makes economic sense.

11 If you have all three of those, this
12 looks very, very good. And, then you have the
13 vehicles, you have a local hydrogen source.

14 That is going to make good sense. It
15 doesn't mean government subsidy.

16 It's just going to make good business
17 sense. So, then you build out.

18 So, there, there are pockets in the
19 United States that are just -- okay? So, it makes
20 a lot of sense to build out to see if this is
21 really going to fly as we're, as we're busy with
22 technologies with fuel cells, you know, the price,
23 the reliability -- Reliability is really one of our

1 best fuel cells.

2 If we can put them in buses, some of
3 these will go, like, ten or 15 years, but the price
4 is high. So, you get the price and reliability in
5 the right place, and there's a choice.

6 So, that looks awesome. Natural gas
7 similarly makes a lot of sense in this mix, you
8 know.

9 The one natural-gas thing that I was
10 delighted and surprised by is the interstate
11 trucking, because, because you only need a fueling
12 station every 100, 150 miles. The trucks go five-
13 to 600 miles, and so it turns out that one every
14 100 miles gives you enough comfort.

15 So -- And, that's why -- That's forming
16 that business strategy. And, heavy-duty trucking
17 is 20 percent of transportation records, all right?

18 So, that one could be, more or less.
19 But, then I'm with you on the other ones.

20 You know, start where it makes good
21 sense, where it's, you know, economically viable,
22 and then see how it grows. Electricity, a
23 different point.

1 We have electricity, okay? And, that
2 would -- You need the inexpensive battery.

3 Yep. So, --.

4 MR. O'REILLY: All right. Thank you
5 very much.

6 I want to again thank you.

7 (Whereupon, applause was had.)

8 MR. O'REILLY: All right. Mr.
9 Secretary, on behalf of the Council I'd like to
10 thank you for being with us today, and for your
11 remarks, and also for the time you spent with us
12 answering our questions.

13 So, appreciate it very much. Thank you.

14 (Whereupon, the Secretary left the
15 meeting.)

16 MR. O'REILLY: Before addressing some of
17 the administrative matters on the, on the morning's
18 Agenda, I'd like to again repeat my thanks to
19 everybody involved in this study; Clarence, you in
20 particular, and your team.

21 MR. CAZALOT: Thank you.

22 MR. O'REILLY: And, the wonderful people
23 here on my, on my left. Linda, here, and her team

1 did a good job at, at generating the study
2 represented here this morning.

3 We do have a couple of administrative
4 matters, and before that I have two announcements.
5 The first is for the benefit of the members of the
6 press here today.

7 Five minutes following the meeting's
8 adjournment, we will have the study leaders
9 available up here at the podium to answer your
10 questions.

11 The second is for our on-line audience.
12 The webcast will pause for now and resume with the
13 press conference, which should start in about 15
14 minutes or so.

15 So, I'm now going to turn to the reports
16 of the administrative committees of the Council.
17 First report this morning will be from NPC Finance
18 Committee Chair Chuck Davidson.

19 Chuck?

20 REPORT OF THE NPC FINANCE COMMITTEE:

21 MR. DAVIDSON: Thank you, Mr. Chairman.

22 The Finance Committee met earlier today
23 to review the financial condition of the Council.

1 We had representatives there from Johnson and Behr,
2 our independent outside auditors who reviewed the
3 draft of the 2011 calendar-year audit.

4 And, based on this review I'm pleased to
5 report that our accounting procedures and our
6 controls received high marks. I'm also pleased to
7 report that the Council's contingency funds at year
8 end remained at approximately five months' of our
9 expenditures, and this is no small part to all of
10 your's response to the contribution request, which
11 exceeded 95 percent for Year 2011.

12 Committee also discussed the proposed
13 2012 Budget. The Committee is recommending to the
14 Council a calendar-year budget for 2012 in the
15 amount of \$4,960,000, and member contributions in
16 the same amount to fully fund this budget.

17 This budget is the same as last year's,
18 and supports the Council's ongoing operations,
19 including a very significant requirement to
20 complete and print the Future Transportation and
21 Fuels report that we discussed this morning. So,
22 subject to your approval of the Budget and
23 contribution recommendation, the Council will be

1 sending out the individual 2012 member contribution
2 requests in the very near future.

3 And, of course, we encourage you to
4 respond quickly on that.

5 Finally, the Committee would be our
6 Charter which recognizes our finance, audit, and
7 investment responsibilities, and reaffirm that
8 Charter.

9 Thank you, Mr. Chairman. This concludes
10 my report, and move that it be adopted by the
11 Council.

12 MR. O'REILLY: Thank you.

13 Is there a second?

14 A MEMBER: Second.

15 MR. O'REILLY: Are there questions for
16 Chuck?

17 (Whereupon, no response was had.)

18 MR. O'REILLY: Okay. Hearing none, all
19 in favor?

20 (Whereupon, a response was had.)

21 MR. O'REILLY: Opposed?

22 (Whereupon, no response was had.)

23 MR. O'REILLY: Thank you, Chuck.

1 As Chuck noted, the request for the 2012
2 contributions will go out shortly, and as we're
3 already well into the year, I hope you'll give the
4 requests, when they come, your prompt attention.

5 Our other administrative report this
6 morning is from the Nominating Committee. Ray
7 Hunt's Chair of the committee, but was not able to
8 be with us this morning, although he had a meeting
9 last week.

10 Rob Catell, a member of the committee,
11 will now present the Committee's report.

12 Rob?

13 REPORT OF THE NPC NOMINATING COMMITTEE:

14 MR. CATELL: Thank you, Mr. Chairman.

15 As the Chairman indicated, the
16 Nominating Committee met last week, was chaired by
17 Ray Hunt, who, unfortunately, couldn't be here
18 today, so I was asked to give the Committee Report.
19 The Nominating Committee has agreed on its
20 recommendations for NPC officers and chairs, and
21 members of the Agenda and other committees of the
22 Council, as well as five at-large members of the
23 NPC Co-Chairs Coordinating Committee.

1 Accordingly, on behalf of the Committee,
2 I'm pleased to recommend the following for
3 nominations:

4 For NPC Chair, Jim Hackett.

5 For NPC Vice-Chair, Jim Davidson.

6 For the Agenda Committee we recommend
7 the following as members: Bob Catell, John Coch-,
8 John Varne (phonetic), Ray Hunt, Jim G. Ramsbey
9 (phonetic), Dave Lesar, Andrew Liveris, Rex
10 Tillerson, John Watson, and Dan Yergin, with Larry
11 Nichols serving as Chair.

12 For the Approval Committee we recommend
13 the following as members: George Alcorn, Bill
14 Fisher, John Hess, Mike Linn, Aubrey McClendon,
15 Lamar McKay, Mark Papa, Jim Rogers, David Scanlon
16 and David Seaton, and John Walker, and Bob Pullman
17 (phonetic), serving as the Chair.

18 In addition, we recommend the following
19 as the at-large members of the Co-Chairs
20 Coordinating Committee: Georgia Bell, Jim McManus,
21 Marvin Odum, Phil Sharp, and Sue Chebby (phonetic).

22 Mr. Chairman, this completes the report
23 of the Nominating Committee, and once again I move

1 that the above slate be elected until the next
2 organizational meeting of the Council. Thank you.

3 MR. O'REILLY: Thank you, Bob.

4 I've got a Motion. Do I have a second?

5 A MEMBER: Second.

6 A MEMBER: Second.

7 MR. O'REILLY: Thank you.

8 Are there any fur-, further nominations
9 from the floor?

10 (Whereupon, no response was had.)

11 MR. O'REILLY: Okay. So, now, all those
12 in favor, "Aye."

13 (Whereupon, a response was had.)

14 MR. O'REILLY: Any, "No"?

15 (Whereupon, no response was had.)

16 MR. O'REILLY: Okay. The Report is
17 adopted.

18 Thank you, again, Bob, for your -- And,
19 and also to Ray Hunt, who does a, a great job at
20 chairing our Nominating Committee.

21 Just a, before I wind up here, I'd like
22 to just thank all of you for serving Chair of the
23 NPC for the, for the last two years. It's been,

1 it's been a, a very interesting period to be
2 involved with the NPC with two reports going on
3 concurrently, and I'm especially grateful to, to
4 the NPC staff, of course, led very ably by the
5 gentleman to my far right, as well as to the
6 leaders of the two studies, Clarence Cazalot and
7 Jim Hackett, and, and the folks that supported them
8 during this period of time.

9 And, obviously, I wish Jim and Chuck
10 every success of the, of their leadership of the
11 Council during the next two years.

12 Ladies and gentlemen, before the final
13 item on our formal Agenda, was there any other
14 issue that any Council member wants to raise at
15 this time?

16 (Whereupon, no response was had.)

17 MR. O'REILLY: Does any nonmember wish
18 to be recognized at that time?

19 (Whereupon, no response was had.)

20 MR. O'REILLY: Okay. Do I have a Motion
21 for Adjournment?

22 A MEMBER: So moved.

23 MR. O'REILLY: We have it moved. Do I

1 have a second?

2 A MEMBER: Yes.

3 MR. O'REILLY: Thank you.

4 All in favor, --

5 (Whereupon, a response was had.)

6 MR. O'REILLY: -- say, "Aye."

7 (Whereupon, a response was had.)

8 MR. O'REILLY: The one hundred and
9 twenty-second meeting of the National Petroleum
10 Council is hereby adjourned, and in about five
11 minutes, at the top here, we will have that press
12 conference.

13 (Whereupon, the above meeting was
14 concluded.)

15 I certify the foregoing to be a
16 true transcript from my notes.

17 E-signature: D. I. Bunn

18 CSR CP RPR

19 CERTIFICATION

20 I, D. I. Bunn, a Registered
21 Professional Reporter, Certified Conference
22 Reporter, and Notary Public, do hereby certify that
23 the foregoing testimony was duly taken and reduced

1 to writing before me at the place and time therein
2 mentioned. I further certify that I am neither
3 related to any of the parties by blood or marriage,
4 nor do I have any interest in the outcome of the
5 above matter.

6 In witness whereof, I have hereunto set
7 my hand and affixed my official seal, at Lusk,
8 Wyoming, USA, this 6th day of August, 2012.

9

E-signature: D. I. Bunn

10

Notary Public

11

12 My Commission expires January 5, 2016.

13

14

15

16

17

18

19

20

21

22

23

