

TRANSCRIPT OF PROCEEDINGS

In the Matter of:)
)
THE 128TH MEETING OF THE)
NATIONAL PETROLEUM COUNCIL)
)

Pages: 1 through 106
Place: Washington, D.C.
Date: December 4, 2018

HERITAGE REPORTING CORPORATION

Official Reporters
1220 L Street, N.W., Suite 206
Washington, D.C. 20005-4018
(202) 628-4888
contracts@hrccourtreporters.com

U.S. DEPARTMENT OF ENERGY
OFFICE OF ENERGY EFFICIENCY & RENEWABLE ENERGY

In the Matter of:)
)
THE 128TH MEETING OF THE)
NATIONAL PETROLEUM COUNCIL)
)

Astor Ballroom
The St. Regis
923 Sixteenth Street, N.W.
Washington, D.C.

Tuesday,
December 4, 2018

The parties met, pursuant to the notice, at
9:00 a.m.

APPEARANCES:

GREG L. ARMSTRONG, Chair

HONORABLE RICK PERRY, Government Cochair
Secretary, U.S. Department of Energy

DARREN W. WOODS, Committee Chair

CAROL J. LLOYD, Coordinating Subcommittee Chair
NPC Committee

HONORABLE RYAN ZINKE
Secretary, U.S. Department of the Interior

JOHN C. MINGÉ, Chair
NPC Committee on Carbon Capture, Use, and
Storage

ALAN S. ARMSTRONG, Chair
NPC Committee on U.S. Oil and Natural Gas
Transportation Infrastructure

HONORABLE MARK W. MENEZES
Under Secretary of Energy

APPEARANCES: (Cont'd.)

GREG A. ARNOLD, Member
NPC Finance Committee

CLARK C. SMITH, Member
NPC Nominating Committee

P R O C E E D I N G S

(9:00 a.m.)

1
2
3 CHAIRMAN ARMSTRONG: Good morning. I'd like
4 to go ahead and call the 128th meeting of the National
5 Petroleum Council to order. I promised last night
6 we'd start promptly at 9, and I think I just barely
7 made it, so we'll start off there.

8 Before we get into today's agenda, I think
9 it's appropriate that we start this meeting with a
10 moment of reflection and really celebration of a life
11 well lived. This past Friday, we lost a former member
12 of the industry, a friend of many here on the council,
13 and a great, great American, the 41st President of the
14 United States, George Herbert Walker Bush.

15 There are many ways to describe -- I was
16 trying to think of what comments could I possibly make
17 about this great American, and none of which really do
18 him justice for the person and the accomplishments and
19 contributions, but three phrases that I can distill
20 down into 11 words I thought likely resonate with all
21 of us. One is a fine human being, a life of service,
22 and a remarkable life. And I would ask that you
23 please stand and join me in a moment of silent prayer
24 and reflection on the life and legacy of President
25 Bush.

1 (Pause.)

2 CHAIRMAN ARMSTRONG: Thank you. President
3 Bush will certainly be missed, but the examples that
4 he set for all of us I think will last many lifetimes.

5 So, with that, again, I want to welcome
6 everyone, members of the council, honored guests, and
7 members of the press and public. We have what I
8 believe is a very -- will be a productive and
9 informative meeting this morning. We have a very full
10 agenda, and we're honored to have both Secretary Zinke
11 and Secretary Perry join us for various portions of
12 today's presentations.

13 Because it's Washington and schedules are
14 tight and sometimes fluid, we'll remain flexible.
15 You've got an agenda in front of you, but we may have
16 to kind of go out of order if things have some
17 fluidity to them.

18 First, I want to also make the customary
19 safety announcement, which with this room being on the
20 lobby level will be quite brief. There are no
21 scheduled drills or fire alarms today, so if an alarm
22 sounds, we should take it as if it's real. We will
23 evacuate as rapidly but safely as possible through the
24 back of the room, through the lobby, and into the
25 street. The rally point will be to the right here at

1 the Hotel Hilton across K Street.

2 Now, if there's no objection, I will
3 dispense with the calling of the roll. For the
4 members of the council, the check-in is inside the
5 George Washington Room, and it serves as our official
6 attendance record. Pam Dunning is keeping track. Any
7 member that has not checked in, please do so, so
8 ensure we have a complete record of this meeting.

9 We also have what has become familiar to
10 many of us as an internet audience, which enables them
11 to watch our proceedings via webcast. I hope that
12 this audience includes both members of the council
13 that were unable to attend today, as well as some of
14 the many individuals that are contributing greatly to
15 the council's steady efforts.

16 With that, I'd like to go ahead and
17 introduce to you for the record -- to you and for the
18 record -- the participants joining me at the head
19 table today. To my right, we are pleased to have the
20 Honorable Ryan Zinke, Secretary of the Interior.
21 Secretary Zinke will be with us through the first
22 portion of today's meeting as we cover the
23 supplemental assessment on the NPC's 2015 report,
24 "Arctic Potential."

25 Secretary Zinke worked with Secretary Perry

1 to submit a request for this supplemental assessment.

2 Following the presentation this morning, Secretary
3 Zinke will provide his remarks and, if we have time,
4 take a few questions.

5 Next to Secretary Zinke is Larry Nichols,
6 who is the NPC vice chair. Next is the Honorable Mark
7 Menezes, Under Secretary of Energy and governmental
8 co-chair for the Arctic supplemental assessment. Then
9 we have the leaders of the Arctic supplemental
10 assessment themselves. We have Darren Woods, and then
11 next to him we have John Mingé, who heads up the CCUS
12 study, and Alan Armstrong, who then heads up the
13 infrastructure study, and then Marshall Nichols, who's
14 the executive director of the NPC.

15 So you have two Armstrongs and two Nichols
16 up here. None of us are connected, we don't think.
17 At least they don't claim me.

18 (Laughter.)

19 CHAIRMAN ARMSTRONG: So -- and as I said,
20 later Governor (sic.) Perry will be joining --
21 Governor Perry, excuse me -- Secretary Perry will be
22 joining us later this morning. If you can't tell, I'm
23 from Texas.

24 (Laughter.)

25 CHAIRMAN ARMSTRONG: So we'll move next to

1 the first order of business, is the presentation on
2 the supplemental assessment on the NPC report, "Arctic
3 Potential." We'll kick it off with Darren Woods,
4 Chairman and CEO of Exxon.

5 And, Darren, the podium is yours.

6 MR. WOODS: Thank you, Greg. Good morning,
7 everyone, Secretary Zinke, Under Secretary Menezes,
8 fellow council members, and invited guests. As you're
9 aware, in August, Greg received a request from
10 Secretary Perry for the NPC to conduct a supplemental
11 assessment of the 2015 Arctic Potential report. This
12 request resulted from a series of briefings the NPC
13 held with the Department of Energy and the Department
14 of the Interior.

15 We were very pleased that the administration
16 is interested in acting on the recommendations in the
17 NPC report. And as such, we're very happy to provide
18 an update. To respond to the request, Greg invited me
19 to chair the supplemental assessment. I reactivated
20 the steering committee and the coordinating
21 subcommittee from the 2015 study.

22 Last week, the steering committee met and
23 reviewed and endorsed the results of the supplemental
24 assessment. A presentation package was distributed by
25 email on Friday, and you will have a hard copy in the

1 folders in front of you.

2 Now, as you'll hear, the 2015 report has
3 stood the test of time, and the findings and
4 recommendations in the original report remain relevant
5 today. Perhaps most importantly, since 2015, there
6 has been substantial drilling activity that
7 demonstrates continued advancements of well control
8 and oil spill response technology in Arctic
9 environments.

10 In light of these advancements, we will
11 include additional recommendations for specific
12 regulatory changes to enable the use of this
13 technology to promote safe, environmentally
14 responsible, and prudent exploration and development
15 of U.S. Arctic potential.

16 So, on behalf of the coordinating
17 subcommittee and the steering committee, I'm very
18 pleased to invite Carol Lloyd from ExxonMobil, who is
19 the chair of the coordinating subcommittee, to the
20 podium to present the results of the potential
21 supplemental assessment.

22 Carol?

23 MS. LLOYD: Well, thank you, Darren. Good
24 morning, members of the Petroleum Council, invited
25 guests, ladies and gentlemen. Today, I'm going to

1 cover three topics in about 45 minutes. Firstly, I'll
2 begin with some background, including the request
3 letter and how we approached it, and some key
4 takeaways. Secondly, I will reconnect you with the
5 2015 study. And then finally we'll turn our attention
6 to the 2018 results.

7 Given the time constraints, I'm going to
8 move pretty quickly through the background material
9 and the 2015 reconnect so that we may focus our
10 attention on what's changed since our report was
11 published in March of 2015.

12 Okay. Beginning on Slide 2, with the study
13 request, we've summarized what was asked for in the
14 letter, and as you can see in the block text at the
15 top, the NPC was asked to provide input on what has
16 changed, exploration and technology advancements, and
17 in particular views on whether or not the regulatory
18 environment could be improved. And key areas to be
19 addressed are noted in the four bullets at the bottom
20 of the slide.

21 In response, as Darren mentioned, we
22 reconvened a group of alumni from the 2015 report and
23 held a technical workshop where we had broad input of
24 what might have changed since we published our report
25 in 2015. I'll say more about this in just a moment.

1 The coordinating subcommittee and then the
2 steering committee considered this input and developed
3 this interim report. And as you can see, this is not
4 yet the final product. We'll be taking the key points
5 in this PowerPoint presentation, converting it to a
6 formal written report, and seeking council approval
7 around the end of February.

8 Our workshop was held at Rice University at
9 the Baker Institute on October 31 and November 1. As
10 you can see, we had broad participation, with 45
11 participants from industry, all levels of government,
12 and a few nongovernment organizations. We organized
13 the discussion into panel discussions addressing the
14 areas of inquiry in the Secretary's letter.

15 Key takeaways, and Darren outlined just a
16 couple. Since the 2015 report, there has been a lot
17 of activity, drilling, exploration, drilling activity
18 in Arctic conditions and technology advancements. The
19 2015 findings and recommendations remain relevant.
20 And in the third and fourth bullet, whereas the 2015
21 study recommended further study to gain public
22 confidence of technology for well control and safe and
23 effective exploration and development, in this case,
24 based on the technology demonstrations that have
25 occurred since 2015, we're going to be making

1 recommendations for regulatory changes directly.

2 With that background then, a brief reconnect
3 to what we said in 2015. Firstly, just a brief
4 mention of what the original question was on this
5 Slide No. 8 in your package. As you can see in the
6 top of the page, the original study focused on
7 research and technology constraints that might be
8 inhibiting Arctic development. And working with the
9 Secretary of Energy, we elected to focus the 2015
10 study on offshore technology, given that onshore
11 development and onshore technology was obviously
12 proven.

13 The other key takeaway from this slide is
14 the broad and diverse team that worked on the 2015
15 study, over 200 participants from 105 organizations.
16 Those organizations represented roughly -- were about
17 half from industry, about one-third from all levels of
18 government, and the remainder from academic and
19 nongovernment organizations.

20 The report -- the original report represents
21 a consensus view and our commitment and our work to
22 date. We are committed to continue that with the 2018
23 supplement. The original report had seven key
24 findings. The most important of those and the most
25 relevant for our 2018 focus are Finding No. 4, that

1 the technology exists to prudently explore for and
2 develop U.S. Arctic potential, and Finding No. 7
3 regarding technology capabilities to reduce the
4 potential for and consequences of a spill.

5 I'm going to say a little more about these
6 two recommendations in just a second, but before I do
7 that, I thought I'd highlight briefly what we found in
8 2015. Firstly, the resource is large, globally, about
9 525 billion barrels, and the U.S. endowment is
10 expected to be significant -- assessed to be
11 significant.

12 Secondly, the Arctic physical, ecological,
13 and human environment is well understood after decades
14 of research.

15 Thirdly, the oil and gas industry has a long
16 history of successful operations enabled by
17 technology. In fact, there have been over 80 wells
18 drilled in the U.S. Arctic offshore in the '80s.

19 Fourth, the technology is proven. However,
20 we recognize that technical capability alone is not
21 enough. We must also have an economically viable
22 discovery, which we speak to in Finding 5, and we must
23 also have public confidence that the activities can be
24 progressed in a manner that's safe and respectful of
25 the environment, which we address in Finding No. 6,

1 and then finally, technology for oil spill prevention
2 in Finding 7.

3 So let's look a little more deeply at
4 Finding 4 from the original report, and I'll direct
5 your attention to the graphic, the blue table in the
6 middle of the page. This graphic shows five different
7 physical ice environments in each row, depicting
8 various combinations of water depth and length of open
9 water season, and the rows are organized from the
10 easiest to the hardest Arctic physical environment.

11 The third column describes the implication
12 of this Arctic environment on exploration and
13 development. And you'll notice that in the first
14 three rows, there are pictures. That's because this
15 technology is proven around the world in global Arctic
16 environments. In the fourth and fifth, it's not
17 proven, not yet.

18 The red text in the middle illustrates where
19 the U.S. Arctic is located in greater than two months
20 of open water season and less than 100 meters of water
21 depth. And as you can see from the pictures, the
22 technology's proven.

23 I want to comment that this table describes
24 the surface environment in terms of what we find on
25 the surface. It does not describe the geologic

1 environment. And the U.S. Arctic geologic environment
2 is relatively simple and straightforward. In fact,
3 the Shell drilling operation superintendent, when he
4 presented at our technology workshop, made the comment
5 that once we addressed all the logistical challenges
6 and the surface concerns with ice, these were the
7 simplest wells that I've ever drilled.

8 On Finding 7, oil spill prevention and
9 response, I'll again direct your attention to the
10 graphic at the middle of the -- at the bottom of the
11 page. We call this the bow tie. And in the center of
12 the bow, it's labeled as a loss-of-containment event.

13 On the left, prevention, and on the right, control
14 and response.

15 There are many technologies available to
16 prevent an oil spill, a loss-of-containment event from
17 occurring in the first place. And the greatest
18 reduction of environmental risk, as we outline in the
19 black text, comes from focusing on prevention. Since
20 2018, we have added the red box in the center for
21 subsea isolation devices. This is new. Basically, we
22 included subsea isolation devices with capping stacks
23 in our 2015 study.

24 However, a pre-installed capping stack right
25 on the sea floor as a backup to the blowup preventer

1 is actually a prevention mechanism, and so we've
2 called that out in 2018. I'll say more about that
3 when I describe what's changed.

4 Let me turn now to reminding you of the most
5 important recommendations from the 2015 study. And on
6 this first page of two, I speak to drilling season
7 length. Again, I'll direct your attention to the
8 graphic in the center of the page. On the top, we
9 describe the current construct as codified in the
10 regulatory framework.

11 Drilling can start after you enter the
12 theater, in the Chukchi Sea in this example, and you
13 cannot enter the theater until July 1, which is a
14 hardcoded date of when one can transport through the
15 Bering Strait. That gets you to location on July 7.
16 And freeze-up is also hardcoded as November 1.

17 In addition, because of the concern of a
18 well-control event late in the season and the risk
19 that one might have to leave because of ice incursion
20 and leave the well flowing over the winter season, the
21 last 38 days of the drilling season are reserved for a
22 relief well. So that leaves 79 days available for
23 productive drilling.

24 On the 80th day, you're precluded from
25 drilling any further into a hydrocarbon zone. You

1 must stop drilling. The bottom graphic illustrates
2 what could be possible with the application of
3 technology that's been proven, and then proven again
4 since our 2015 report. The first step is to accept
5 superior technology to a same-season relief well to
6 get back that 38 days. And then the second step is to
7 adjust the drilling season based on actual ice
8 conditions and the design of the equipment, not a
9 hardcoded date, effectively doubling the drilling
10 season and enabling single-season exploration
11 drilling.

12 The second page on key recommendations
13 speaks to lease length. And, again, I'll direct your
14 attention to the graphic. In order to pursue an
15 Arctic oil and gas development, there are three
16 phases. The first is the exploration phase, drilling,
17 assessment, appraisal. The second is the design and
18 cost estimation and taking it to an investment
19 decision. That's the development phase. And then the
20 third phase is construction and execution and then
21 startup and production.

22 In every other Arctic nation, the
23 exploration phase is separated from the development
24 phase in the primary lease term. So, as an example,
25 in Canada, one can prosecute your exploration program,

1 have a discovery, hold the lease, and then get a
2 second lease in order to do the design to advance
3 infrastructure and make a decision to proceed.

4 In the U.S., all of that must occur in a
5 primary lease term of 10 years. This is very
6 challenging, even in the lower 48, Gulf of Mexico,
7 where you can work 365 days of the year. And as we'll
8 show with data, it's impossible when you're only
9 working 80 days of the year.

10 Okay. So what's changed since that report?

11 Firstly, there has been a lot of drilling activity,
12 47 exploration wells safely and successfully drilled
13 to their objective in Arctic conditions all around the
14 world, and as you see in this sub-bullet, 45 of those
15 in international waters, 28 in Norway, 16 in eastern
16 Canada, one in Russia in the Kara Sea, all using
17 conventional floating drilling technology adapted for
18 Arctic conditions. And in the U.S., two wells were
19 drilled, one by Shell using floating drilling
20 technology in the 2015 open-water season, the Burger
21 prospect, and one using extended-reach drilling from a
22 grounded ice pad in the 2018 winter season by Caelus.

23 In addition, Eni is currently drilling a
24 directional drilling well into the offshore
25 continental shelf from a gravel island at their

1 permanent Spy Island drill site. Pictured at the
2 bottom is a very interesting picture of the two rigs.

3 On the left is the *West Alpha*, which was used by
4 ExxonMobil in the Kara Sea. And on the right is the
5 *Polar Pioneer*, which was used by Shell to drill their
6 Burger prospect. And both of these rigs were stored
7 side by side in a port in Norway, and the photo's
8 courtesy of the drilling operations superintendent
9 that thought it was really interesting.

10 All of this drilling activity resulted in
11 declared discoveries of 5 billion barrels. About 3.8
12 of this is assessed to be in the USA, with the
13 remainder in Norway and Russia, and more discovery is
14 expected to be announced.

15 Let's talk about the technology that enabled
16 this substantial activity, and with a focus on the
17 Kara Sea and the Chukchi Sea as the drilling programs
18 that are the most challenging Arctic environments that
19 we spoke about. Firstly, well design and execution
20 planning. In both these programs, the well planning
21 for the drilling began three years in advance, 2011
22 for the Kara Sea program and 2012 for the Chukchi
23 program. And in both these programs, this planning
24 culminated in an extensive practice, a drill well on
25 paper exercise the season before it was actually

1 drilled, with the best weathermen and ice forecasters
2 in the business, with a dedicated ice defense team,
3 and with actual ice conditions as they presented the
4 season before the drilling. For example, it's
5 July 28. What does the ice look like, and what would
6 we have done? Are we ready?

7 Secondly, rig and vessel upgrades and
8 certifications of same for Arctic condition, including
9 upgrades of key systems, adding enclosures, and adding
10 safety equipment.

11 Thirdly, ice defense systems, all integrated
12 with the execution plan, including new technology to
13 monitor ice, forecast its movement, including ice
14 drift, and identifying ahead of time what size of ice
15 incursion could enter in an operating window around
16 the rig and what execution steps might be done, and
17 then finally, a common operating display to make sure
18 that everyone on the rig knew where all the vessels
19 were and all the potential ice incursions were at any
20 given point in real time.

21 And finally, let's talk about well control
22 equipment. Pictured on the left is a subsea shut-in
23 device that I mentioned earlier. It was installed on
24 the sea floor of the Kara Sea. It was designed for
25 full well shut-in in the event of a well-control event

1 late in the season, just as if there was a well head
2 on the well.

3 So this enables the BOP stack, which sits on
4 top of it, to be demobilized in the event of an early
5 freeze-up, and the well would be secure, and then, in
6 the following summer season, the rig would return and
7 enter through the top of the well, just as if you had
8 a well head on the well, basically a preinstalled
9 capping stack.

10 The picture is actually taken from a
11 deployment test conducted in Norway prior to
12 operations in 2015 -- 2014, excuse me -- witnessed by
13 the Russian regulator in order to get the well permit.

14 On the right is a map of all the capping stocks that
15 have been designed, developed, tested, and staged
16 around the world since 2015, 11 in total, including
17 the subsea isolation device. And these capping
18 stacks, none of them have been required for well-
19 control events, but they've been positioned to be
20 ready in the event of a well-control event.

21 In addition, BOP designs and technology have
22 advanced as well, higher pressures and temperatures,
23 increasing ability to share a thicker drill pipe, and
24 a thicker-walled drill pipe, and pipe in any position,
25 and better control systems with more redundancy. In

1 summary, significant technology advancements on the
2 well design and prevention side of the bow tie.

3 Let's turn our attention now to spill
4 response, where there have also been substantive
5 advancements. The Arctic oil spill response joint
6 industry program, which was underway in 2015,
7 concluded in 2017, and that study found that oil spill
8 response methods in warmer climates are as effective
9 or better in Arctic conditions, with nine companies
10 participating, 40 years of research, six fields of
11 study, substantial technology advancements in
12 monitoring and detecting oil in ice and under ice,
13 significant field testing, including a test of
14 chemical herders and in situ burning in a purpose-
15 built basin observed by academics at the University of
16 Alaska Fairbanks.

17 Response technologies work better in Arctic
18 conditions than they do in southern climates for two
19 reasons: the presence of ice slows spreading of a
20 potential oil slick, and lower temperature keeps the
21 higher ends in solution longer, giving you more time
22 to respond with dispersants and in situ burning. And
23 similar to southern climates, mechanical recovery,
24 which is the tool of choice for very small spills, is
25 simply ineffective for large spills, and, therefore,

1 regulatory reform is needed to enable the use of all
2 tools in the toolkit.

3 Continuing on with oil spill technology
4 improvements, we wanted to highlight the significant
5 number of response exercises conducted in Norway, as
6 outlined in the first bullet, and we call out two
7 Arctic relevant demonstration, including actual
8 release of an oil spill in open water. And pictured
9 on the left is a mechanical recovery ship boom
10 actually conducting a field exercise.

11 In addition to these two exercises noted,
12 there are more than 20 other exercises which do not
13 include live oil release, including one cooperation
14 cross-border exercise between Norway and Russia,
15 simulating an oil spill that crosses their
16 international boundary.

17 In the second bullet, we speak to continuing
18 technology advances, and in particular, all highlight
19 a polymer catalyst solution that's just been
20 developed. Basically, it will set up rapidly in the
21 presence of significant contamination. And when we
22 had our workshop the day before, the oil spill experts
23 that we gathered were very excited about a successful
24 test where they were able to set up their polymer and
25 it withstood 10,000 pounds of back pressure in the

1 lab.

2 This JIP is forming now, and people are
3 welcome to join to continue to advance this. This
4 would be deployed as shown in the picture above the
5 BOP and could be released remotely or with an ROV in
6 the event of a BOP failure.

7 In the area of infrastructure and logistics,
8 we heard about substantial technology improvements
9 with the TAPS pipeline, focused on improving the low-
10 flow capability with a specifically designed flow loop
11 to test what the mechanism was for plugging in wax and
12 water and ice deployment or deposits, and then
13 increased throughput of TAPS. 2017 represented the
14 first year that production increased in TAPS after
15 three decades of decline.

16 Both of these improvements will
17 substantially improve the operating envelope of TAPS
18 and extend the life of this critical piece of
19 infrastructure. In addition, NOAA released a
20 significant amount of data on a bathymetric update,
21 and the Corps of Engineers unfortunately terminated
22 their deep-draft port study, but they did move forward
23 with a feasibility study for a shallow port at the
24 port of Nome.

25 Globally, I'd highlight the significant

1 growth in ice breaker fleet, especially in Russia.
2 And since 2015, Russia has added 12 new ice breakers
3 to its fleet. Those are operating. There are an
4 additional five being built, and another six being
5 planned. The U.S., in contrast, has not added any,
6 although we note that budget has been provided for an
7 additional ice breaker and there are an additional two
8 in the planning window.

9 Additionally, shipping routes in the Bering
10 Strait have been approved, and then the first ever
11 Arctic LNG cargo came from the Yamal LNG project via
12 the Northern Sea Route in July of 2018.

13 There's also been movement on the regulatory
14 and leasing front. Beginning in the first bullet, the
15 two land sails that were planned in the offshore
16 continental shelf in 2007 to 2022 were canceled. This
17 means that the last time there was a land sail in the
18 Beaufort Sea was in 2007, and in the Chukchi in 2008.

19 The Arctic rule which governs drilling in
20 the offshore continental shelf was issued in 2015.
21 Shell turned over their Beaufort Sea leases to the
22 Arctic Exploration, LLC, and they recently received a
23 suspension of operations, which is technical lingo for
24 a lease extension of five years, which is astounding.
25 That's never before been done. Industry's only been

1 granted lease extensions or termination of lease for
2 unproductive time only in one-year increments. And I
3 should point out this is after five years of asking
4 for it, three at the hands of Shell and two with the
5 Arctic Exploration company.

6 And then BOEM recently granted approval of
7 Liberty, which will represent the first production
8 facility in the Arctic offshore continental shelf
9 waters on October 24, 2018. And then, finally, the
10 Alaska 1002 area has been opened up for a potential
11 lease sale as part of the Tax Act -- or the Tax and
12 Jobs Acts. And there is an EIS underway.

13 Globally, the Russian regulator approved the
14 use of a subsea shut-in device as a superior solution
15 for a same-season relief well, and the Canadians and
16 the Norwegians moved forward with regulatory support
17 for the activity that I described earlier.

18 So, with all of that said, the team is
19 proposing adding a couple of new findings. The
20 first -- and we want to start with improvements that
21 we think that could be made to improve safety and
22 environmental performance, on page 22 in your handout.

23 I'll direct your attention to the subpoints.
24 Firstly, requiring specific solutions leads to
25 compliance rather than risk management and decreases

1 the incentive for technology improvement. And I'll
2 take this bullet apart in two pieces.

3 In the first part, compliance, compliance is
4 important. These are complex issues, and the risks
5 are high. And a good example of where compliance is
6 absolutely appropriate is on the testing requirements
7 for BOPs. Industry does, can, and should comply.
8 But, when compliance gets in the way of risk
9 management, then we need to enable a conversation.
10 And one of the most compelling quotes I took away from
11 our workshop was a seasoned drilling operations
12 manager saying, the worst question I get in my job is
13 what do I need to do to get my permit approved.

14 I don't like that question, and none of us
15 should like that question because then we've stopped
16 thinking about effective risk management and what is
17 right, and we've started thinking about what do I need
18 to do to comply.

19 Secondly, prescriptive regulations keep the
20 U.S. stuck. A same-season relief well, to mitigate
21 the risk of a blowout continuing during the winter
22 season under ice, may have been appropriate in the
23 '80s, but now, when subsea shut-in devices are
24 designed, tested, and proven at temperatures and
25 pressures that they are capable of today, it

1 represents a superior solution. If you're drilling a
2 relief well, the whole time you're drilling that well
3 you're spilling to the environment. It is not an
4 appropriate solution for the industry, for the
5 communities, or for the regulators.

6 Secondly, multiple layers of protection and
7 requirements may actually increase overall risk. And
8 I'll give you a couple of examples of this. In the
9 Arctic offshore, it's a shallow water system. In the
10 event of a well-control event, the primary focus and
11 priority firstly needs to be safety of personnel,
12 secondly needs to be source control. And vessels that
13 are not needed, or at least not yet, that impede
14 access to the well, to getting on top of it, get in
15 the way and actually reduce -- or increase risk.

16 Examples of this would be containment
17 systems or a same-season relief well. The primary
18 focus has got to be firstly on prevention, and then,
19 if an event happens, getting the source under control.

20 And things that are not contributing to that are a
21 distraction and increase overall risk at that phase of
22 the operation.

23 An example of additional requirements that
24 may increase risk are the requirement for zero
25 discharge. I'll give you an example of snow gathering

1 up on the decks, having to be gathered up, put in
2 boxes, melted, put on ships, shipped around through
3 the Bering Strait down to Oregon, and then released
4 into the Pacific Ocean. Substantial activity,
5 substantial personnel, substantial miles traveled
6 increase risk for questionable environmental benefit.

7 And then, finally, multiple agencies with
8 conflicting mandates and overlapping requirements can
9 hinder effective risk management because it restricts
10 the ability to make the appropriate choices and to
11 balance wildlife management with personnel safety.
12 For an example -- I'll give a couple of examples here.

13 The inability to be able to manage ice by breaking up
14 ice to protect the well operation and the drilling
15 equipment because of concerns of the sound for
16 wildlife, and then restricting helicopter flights for
17 crew transport because of a potential concern on
18 wildlife. And sometimes that may be the appropriate
19 choice, but the opportunity to have a conversation
20 about balancing personnel safety with protection of
21 the environment is what we're speaking of here.

22 Let me turn my attention now to potential
23 improvements or a finding related to economic
24 viability, and, again, I'll break this into a couple
25 of parts. The first is lease terms, and I hit this in

1 my summary of the 2015 study. The graphic, I think,
2 tells a very compelling story. The 10-year basically
3 shows an actual time line for the three phases of
4 development I noted earlier: exploration, appraisal
5 and investment decision, and development. And
6 remember that the U.S. lease terms require phase one
7 and phase two to be done in the primary term.

8 Compare the red line to the actual duration
9 of Arctic developments in the bottom half of the graph
10 around the world: eastern Canada, Alaska, Russia, and
11 then finally the Gulf of Mexico. On the top, we
12 create a generic Alaska onshore where you can work
13 more completely around the year compared to the
14 offshore continental shelf, one well per season, very
15 challenging. And then, if you have to go back for
16 multiple seasons, as you typically currently do with
17 the regulatory framework, impossible to progress even
18 the exploration phase in the primary lease term.

19 The second area of economic viability,
20 threatening economic viability, is regulatory burdens.

21 And the Shell team at our workshop described 23
22 agencies with overlapping requirements with no
23 mechanism to talk to each other. And multiple
24 agencies involved is not unique to the U.S. That
25 happens in other jurisdictions as well, appropriately

1 so. Some agencies have responsibility for emissions.

2 Some agencies have responsibility for safety. What's
3 really lacking in the U.S. is the inability of a
4 framework for them to work together.

5 Okay. So what are we going to do about all
6 of that? Before I step into the new recommendations,
7 just a little bit of perspective on page 24, a
8 reminder. The view of the 2015 study was that the
9 technology and knowledge existed to prudently explore
10 for and develop the U.S. Arctic while protecting
11 people and the environment. And the 2015 study
12 recommended further assessment and demonstration of
13 that capability in order to gain acceptance by
14 regulators and other stakeholders because we recognize
15 that, at the time in 2015, just five years post
16 Macondo, we did not have the public confidence just
17 yet.

18 Since 2015, these technologies have been
19 further demonstrated, and I describe that in quite
20 some detail. And these demonstrations now form the
21 basis for the recommendations, which include changes
22 to the regulatory framework.

23 So just as I talked about in the findings,
24 I'll hit safety first and then I'll speak to
25 economics, and I'll speak about regulatory

1 effectiveness, lease length, lease terms, and season
2 length. And then I'll finally close with
3 infrastructure recommendations.

4 Beginning with safety, we recommend a
5 coordinating body be established for federal oil and
6 gas regulations, permitting, and environmental review,
7 similar to the Alaska Office of Project Management and
8 the Canadian National Energy Board, with the authority
9 to better prioritize objectives and troubleshoot
10 issues across agencies.

11 Secondly, the Arctic offshore continental
12 shelf drilling regulations and their implementation
13 should better emphasize prevention and the most
14 effective technologies to reduce risk. Firstly, the
15 use of demonstrated subsea shut-in devices should be
16 accepted in place of a same-season relief well as a
17 superior solution. Secondly, preapproval should be
18 provided to facilitate rapid response using all tools
19 in the toolkit for oil spill response, including
20 dispersants and in situ burning, which have been
21 tested and proven as more effective and a better
22 solution versus mechanical recovery. And if you're
23 dealing with an event, then sometimes, if it takes
24 time to get approval because of the window of
25 opportunity to act, a delayed decision can be a no

1 decision, and a no decision will have more
2 environmental impact than the preapproval would.

3 Finally, regulations should not emphasize
4 desired outcomes but should emphasize improved
5 technologies. And where the authority exists -- and
6 there are examples in the regulations -- to accept new
7 technology, that authority should be used.

8 Turning my attention now to economics, in
9 speaking first about regulatory effectiveness and
10 certainty, the coordinating body that I mentioned
11 needs to have a senior coordinating officer with the
12 authority and empowered to be able to resolve disputes
13 among agencies and improve timeliness in resolving
14 issues. Conflicting regulatory requirements should be
15 harmonized. Probably the best example of that is the
16 use of drones.

17 Drones represent a significant technology
18 advancement. They've got lots of uses. They are good
19 for spill detection along pipelines. They're good for
20 wildlife monitoring. The FAA requires that they must
21 be flown at 1,000 feet or lower. The Fish and
22 Wildlife requires that they must be flown above 1,000
23 feet. So I guess as long as you're able to fly your
24 drone at exactly 1,000 feet, you're all right.

25 The second example I'd highlight is the

1 conflicting requirement from the point of view of air
2 emissions and safety. With Shell's drilling program,
3 we heard that from a safety point of view, they needed
4 to keep their diesel engines running on all their
5 equipment, which violated their air quality emissions
6 limit and so they suffered fines associated with that.

7 The third and fourth bullet speak to
8 timeliness of the review and the decision-making
9 process across multiple agencies, and then the
10 timeliness associated with requests for information
11 and the time between receipt and response being
12 mandated. We recognize the request for information
13 process is an appropriate process, just as the
14 environmental review is an appropriate process. It's
15 done in other jurisdictions in the U.S. The time
16 lines are significantly longer. And when we write the
17 report, we're working on data to support that.

18 On the fifth bullet, the Arctic offshore
19 continental shelf drilling regulations, the Arctic
20 rule was written primarily from an offshore
21 floating/drilling point of view. They assume that
22 you're using a MODU. But recognizing the advances in
23 drilling, directional drilling, these regulations need
24 to be updated to contemplate this other method of
25 drilling from a land-based rig, which represents a

1 very significantly different risk profile.

2 And then finally, regulatory authorities
3 should participate in joint industry projects and oil
4 spill response exercises, including those in other
5 international jurisdictions, as an independent voice,
6 and to promote public confidence in the industry's
7 availability and ability to respond in the event of a
8 spill event.

9 Continuing with the regulatory framework and
10 the economics theme, we have a couple of
11 recommendations on season length, and these are
12 consistent with our thinking in the 2015 report. The
13 first speaks to adoption of subsea isolation devices
14 in place of the same-season relief well requirement to
15 extend the drilling season and improve safety
16 performance and improve competitiveness. And then
17 drilling season length should be determined by actual
18 ice conditions and the capability of the drilling rig,
19 not a fixed date. And both of these changes are
20 required to facilitate single season exploration
21 drilling, which, given the geologic system in the
22 Arctic, is -- and the current surface environment, is
23 very possible.

24 Finally, on economics, let's talk about
25 lease term competitiveness. And I illustrated the

1 difference between the U.S. lease terms and the other
2 international Arctic jurisdictions. The 10-year
3 primary lease term is insufficient and needs to be
4 adjusted based on the Arctic working season and
5 extended time lines and lack of infrastructure. Our
6 first recommendation is similar to other Arctic
7 nations: separating the production phase from the
8 exploration and appraisal phase.

9 Our second recommendation is that if we want
10 to continue to use the suspension of operations, the
11 suspension of the time clock, then those could be
12 automatically granted in new leases for nonworking
13 time, including weather, litigation, permitting,
14 wildlife management, et cetera.

15 We note in the Lands Act that the Secretary
16 of the Interior has authority to describe economically
17 productive units that are greater in size than the
18 current lease size, which is lifted from the Gulf of
19 Mexico. And as an example, in Mexico, in their gulf,
20 their lease size is 450,000 acres.

21 The Department of Interior could consider
22 royalty structures to improve economics and promote
23 exploration and appraisal activity. As an example, we
24 looked to what was done in the U.S. Deepwater in the
25 early 2000s and the exploration activity that

1 followed. Unilateral changes should not be made to
2 lease terms after issue. In Section 1 of the lease,
3 there's a note that says the lessee bears the risk
4 that changes can be made unilaterally to the leases
5 after issue. Again, this stands out as distinct and
6 different from other Arctic nations.

7 And then, finally, lease sales should be
8 planned and held at regular intervals to promote
9 certainty and effective exploration and development
10 planning.

11 Turning our attention to infrastructure, we
12 recognize infrastructure is important. It's remote.
13 It's expensive, and there are opportunities for
14 synergies, and there are many examples of sharing of
15 infrastructure with Prudhoe Bay, other operators in
16 the TOPS pipeline today. Our recommendations, just as
17 they were in 2015, are to take a broader look forward
18 and do some contingency planning.

19 The other recommendations are similar to
20 what we had in the 2015 report with related -- related
21 to ice breakers and FAA regulations associated with
22 unmanned aircraft.

23 That concludes the presentation, the interim
24 report. I believe I have a few minutes to address any
25 questions from the council now. And there are

1 microphones and people available to come to your
2 chair. Given the webcast, please wait until the
3 microphone comes to your seat before asking your
4 question.

5 MALE VOICE: Any questions?

6 (No response.)

7 MALE VOICE: Must be a very thorough report.

8 MALE VOICE: I should be so lucky.

9 (Laughter.)

10 MS. LLOYD: None? All right. Before I --
11 hearing no questions today, just again highlight that
12 this represents an interim report, and so we would
13 invite feedback from any of the council members via
14 email to Marshall Nichols. His email is listed. And
15 then we will take comments and convert this PowerPoint
16 presentation to a written report. And we look forward
17 to your comments.

18 Before I turn over the floor, I just wanted
19 to take the opportunity to thank the council for your
20 time and attention, and to thank the companies that
21 participated in the supplemental assessment. We could
22 not have done it without your support, and we're
23 depending on your support as we go forward to turn
24 this into a high-quality report which we hope will be
25 useful to the administration and will stand the test

1 of time, just as the 2015 report has done. Thank you
2 very much.

3 (Applause.)

4 CHAIRMAN ARMSTRONG: I want to thank both
5 Darren and Carol and all the study participants for
6 responding to the request. As Carol noted, the
7 council's not asking for -- or we're not asking the
8 council to vote on the interim report today. Any
9 substantive comments that you have, you would provide
10 to Marshall by December 14, again, with the objective
11 of trying to move this toward a final version of the
12 report by the end of February.

13 So, as I noted earlier in my comments, the
14 request for the supplemental assessment was initiated
15 by the Department of Interior in coordination with the
16 Department of Energy and under the supervision of both
17 Secretary Perry and Secretary Zinke. With that, it's
18 now my pleasure to introduce the Honorable Ryan Zinke,
19 Secretary of the Interior.

20 Ryan Zinke was sworn in as the 52nd
21 Secretary of the Interior in March 2017. He's a
22 fifth-generation Montanan, served in Montana's state
23 senate and the U.S. House of Representatives, and,
24 from my personal perspective, very importantly served
25 23 years as a U.S. Navy SEAL officer. Please join me

1 in welcoming the Honorable Ryan Zinke, Secretary of
2 the Interior.

3 (Applause.)

4 SECRETARY ZINKE: You know, people ask me
5 what was easier, being a SEAL Team Six commander or a
6 secretary, and I would say actually a SEAL was easier
7 because, as a SEAL, you know, when people shot at you,
8 I could shoot back.

9 (Laughter.)

10 SECRETARY ZINKE: I think it's important for
11 those that -- and I see a lot of familiar faces out
12 there. But I think it's also important to kind of
13 look back and review why it's important on our energy
14 field, and I would say really three reasons. One,
15 environmentally, I can tell you it is better to
16 produce energy in this country under reasonable
17 regulation than watch it get produced overseas with
18 none. And most of you are in industry and you see it,
19 but if there's any doubt, I'd love to take people on a
20 tour of the Middle East and Africa and show them how
21 not to produce energy. There is no doubt that
22 American innovation, technology, we lead the world.

23 Secondly, you know, economically, you know,
24 what's driving the economy? In many ways, it's you.
25 When you have reliable, affordable, abundant energy,

1 and you look at what we've done as a country, you
2 know, 11.6 million barrels a day. First year -- or
3 first time in 60 years, we're exporting liquid natural
4 gas. There's at least a dozen liquid natural gas
5 facilities that are being either in the works where
6 they have been permitted or soon will be permitted.
7 That is an enormous amount of economic activity.

8 And lastly, morally, from the standpoint of
9 a former Navy SEAL and also a father, because my
10 daughter's a Navy diver -- I told her two things, by
11 the way: don't join the Navy and don't marry a Navy
12 SEAL. She did both. But I just don't want to see
13 your kids, my kids ever have to deploy overseas and
14 fight for a commodity we have here. I'd rather not
15 your kids ever see what I've seen. And I don't like
16 the idea of the U.S. ever being held hostage by
17 foreign entities.

18 So, environmentally, economically, and
19 morally, producing energy in this country is the right
20 path. Now the issue is fossil fuels. And we had a
21 climate report, which is interesting. I sat down with
22 our leading scientist in the U.S. Geological Survey
23 who works for me, a great scientist. And, actually,
24 if you sit down and look at the context of the report
25 and the content of the report -- 1700 pages -- the

1 report was fair. It was accurate.

2 What it said was there are models, and over
3 200 models, by the way, with 1,000 variables. And
4 that's kind of like the military. There's peacetime,
5 and there is global nuclear combat. The media focused
6 on global nuclear combat. The media focused on worst-
7 case scenarios, which statistically it may not even be
8 able to reach. The facts of the matter is observable
9 data, climate change is more towards the peacetime.
10 And the U.S. has led the charge.

11 Our CO₂ has been down 6 percent. Our methane
12 is down 10.2 percent. Overall, our emissions are
13 down, in contrast to China, India, Russia, who
14 continue to rise. So we're doing the right thing.
15 Our technology is better, and we're leading the edge
16 of the world. But it's a narrative that it's very
17 difficult to get across. A lot of the millennials
18 look at that report, and they don't look at the
19 models. They don't look at the 1,000 variables. They
20 don't look at, since 1960, temperatures have gone up
21 about a half a degree Centigrade.

22 What they see is rising sea levels that
23 statistically and data-wise, we don't know. I asked
24 the USGS, give me the last 100 years of sea level rise
25 broken down in 20-year increments. The answer? We

1 don't know. So, if you don't know the metrics of what
2 to judge, it's difficult to predict. Now it is a
3 concern. My concern from a secretary's point of view
4 is that we need to be better at emphasizing the case
5 for American energy. We need to be better at
6 emphasizing why American technology is better, why
7 producing energy in this country environmentally,
8 morally, and economically is the right path for this
9 country.

10 So Interior. What have we done? Well, the
11 BLM hydro -- or hydraulic fracking, excuse me -- that
12 rule is done. We've done methane. The 1002 is in
13 process. The Arctic rule is next. Our regulatory
14 philosophy is this, is that we have to partner with
15 our industries because you're the leading edge of
16 technology. We want to embrace better stewardship.
17 We want to embrace reliability. In order to get
18 there, we have to understand the technology. And in
19 order to understand it, quite frankly, we have to work
20 with you.

21 So I've been criticized by saying we want to
22 work with you. I'll take the criticism because our
23 regulatory framework should look at making sure we're
24 partnering to understand the best technology, best
25 science, best practices in order to increase

1 reliability, increase safety, and increase
2 stewardship. And when rules don't make sense, in some
3 cases are put in place to be an adversary rather than
4 a partnership, then this is a conversation we have to
5 have. And you know that some of these rules have been
6 put in to be an adversarial role.

7 I don't want our government to be
8 adversarial in anything. We should work together for
9 a higher purpose, and certainly the higher purpose as
10 a nation is not to be held hostage, is to do things
11 right and show other nations this is how good
12 governance should work.

13 Lastly, I want to talk a little about what I
14 see in the next two to five years. We had a lease
15 sale in New Mexico, a billion dollars in 48 hours for
16 a lease. Someplace it's 72- to \$80,000 an acre.
17 That's a lot. What I see, though, is how are you
18 going to get it out of there, because our piping
19 system, collection system, our system to get it,
20 especially on the Pacific Rim, is challenged.

21 We see a lot of activity in liquid natural
22 gas facilities going in the Gulf, which is kind of
23 facing the Eastern markets in Europe. But an emerging
24 market in the West, in the Pacific, how are you going
25 to get the gas out? And landlocked to a degree is

1 what we have in the North Slope. Enormous amount of
2 gas, enormous amount of gas. The problem is, is that
3 in Alaska you don't have a pipeline for the gas. So
4 we're going to have to look at different strategies in
5 order to move that commodity and supply what we think
6 is the right path with our allies.

7 It does make a difference. You know, Iran
8 produces about 3 and a half million barrels a day. If
9 you want to use energy as an effective leverage for
10 behavior, there's really two ways you're going to deal
11 with Iran or an aggressive Russia. Either go
12 military, which is not always the best solution, or
13 you do it economically. And economically, in order to
14 do that and leverage commodities like energy, you
15 better have some alternatives on how to supply our
16 allies as well, and that's production level.

17 I think we're going to be -- we're at 11.6
18 today. I think within two years, we're probably going
19 to be marching real close to 14, if not a little
20 higher than that. A lot of it's going to depend on
21 FERC collection systems and the infrastructure to move
22 our fuels.

23 So overall, I'm bullish. I think the price
24 point, you know, is around 60. In this case, I'll
25 agree with Mr. Putin, 60 probably is a pretty good

1 mark in that you have to have enough return on
2 investment to invest in further infrastructure, to
3 invest in technology. When the margins get pretty
4 low, then the economic activity, as you know, drops.
5 So I think at the end of the day, having the
6 margins -- and we've gotten a lot better as an
7 industry. You've gotten a lot better. People are
8 making money. The Balkan -- you know, at probably 30s
9 and that, not a lot.

10 But, I mean, that shows you how good we are,
11 and efficient we are, and it kind of reset the supply
12 chain on it. But I think, you know, around 60 is
13 probably a good spot to keep the economic engine
14 pretty, you know, good.

15 So a lot in there. I'll take questions.
16 You have to have one.

17 CHAIRMAN ARMSTRONG: If you have a question,
18 identify yourself for the record, and then ask your
19 question, please.

20 (No response.)

21 SECRETARY ZINKE: I may have gotten off
22 easy. Well, I want to wish everyone a Merry
23 Christmas. And, again, I appreciate what you do.
24 Certainly, economics make a difference. I always say,
25 you know, on the environmental side, it's hard to be a

1 good steward when you're broke. And you look at some
2 of the countries that have been visited -- you know, I
3 visited, too, and have fought in, if their economy is
4 not working, then their environmental stewardship and
5 their regulatory framework and the ability to regulate
6 is also at risk. And I think looking at the economics
7 in the last two years, I see great hope. And,
8 actually, I'm very, very bullish that we're going to
9 continue to march forward. And a lot of it is as a
10 result of your efforts.

11 So appreciate everyone. Have a Merry
12 Christmas. Don't spend too much time in Washington.

13 (Applause.)

14 CHAIRMAN ARMSTRONG: Thank you, Secretary
15 Zinke, for attending the meeting, and very
16 importantly, for the support that he is lending to the
17 energy business and taking a common-sense approach to
18 the development of our resources.

19 As we move on next into the agenda, we will
20 recall that in conjunction with the council's meeting
21 last September, we received two study requests from
22 Secretary Perry, one on carbon capture use and
23 storage, and the other on U.S. oil and natural gas
24 transfers, transportation, and infrastructure, many of
25 which was just mentioned by Secretary Zinke.

1 The CCUS study is being headed up by John
2 Mingé of BP, and the infrastructure study's being
3 headed up by Alan Armstrong of the Williams Company.
4 I believe the council's very fortunate for the
5 leadership and the knowledge provided by these two
6 individuals and really their teams because there's an
7 extensive network of participants in each of these
8 studies.

9 And with that, I'd like to now turn the
10 podium over to John Mingé to provide us with a
11 progress report on the CCUS study.

12 John?

13 MR. MINGÉ: Thank you very much. Thank you,
14 Greg. And good morning, everyone.

15 So here's a quick progress report. So it'll
16 be different than the report out that Darren and Carol
17 gave because they were going into findings and close
18 to recommendations, and they're closer to the finish.

19 This is a progress report, which is kind of high-
20 level, what is it we're doing, what are our guiding
21 principles, what's the structure that we're using, who
22 are the participants in leadership, what's the time
23 line, that kind of thing.

24 So that's where I'll be going, and we should
25 be able to move through this fairly quickly, and then

1 have time for questions if you'd like.

2 So this title -- you know, it says I'm the
3 former chairman and president. That is accurate. It
4 doesn't mean that I've left BP, though. I'm still
5 employed, and I'm in a transition plan where I'm going
6 to chair this study, do a few other things for the
7 company. But, at the end of this, I'll retire from BP
8 and move on.

9 So what you'll find is in the time line at
10 the very -- my very last slide -- I'm very focused on
11 completing this project in September because it fits
12 my personal time line as well. Here's the letter that
13 we -- that Greg received from Secretary Perry.
14 Really, within this letter, it asks for a roadmap, and
15 a roadmap for what the U.S. Government could do to
16 drive CCUS at scale going forward. There were five
17 key questions that he asked, so, you know, you always
18 have to start with what's the oil and gas forecast,
19 what's the energy demand, supply, demand, and what are
20 the environmental benefits that you get from carbon
21 capture use and storage.

22 What are the barriers? Research and
23 development, technology, infrastructure. et cetera.
24 What are those barriers, and what needs to be done to
25 overcome them? How should success be defined? What

1 actions can be taken to establish a framework that
2 guides policy? What regulatory, legal liability, and
3 other issues should be addressed?

4 So, you know, when I first looked at that,
5 I -- and Greg called me up and said, John, would you
6 lead this project. I said, yeah, this looks pretty
7 simple, no problem. And, boy, was I wrong. It's a
8 challenging, complex study. There's lots to it. And,
9 thankfully, we've got wonderful support from the
10 government and from all of you. And I'll show you the
11 diversity of our team later.

12 On reflection, you know, when I first
13 started -- I'm not a carbon capture, use, and storage
14 expert. I primarily came up through the upstream side
15 of the business, and then went into general
16 management, had the opportunity to work all over the
17 world. But, as I came in and started getting up to
18 speed on this subject, I was pretty -- and I was aware
19 of the technology and aware of some projects, but what
20 I was surprised by was just how deep the knowledge was
21 and how people had spent 20-plus years of their career
22 really focusing on carbon capture use and storage and
23 the number of reports.

24 You know, one of the first reports that I
25 read was a study that was written in 2010. It was an

1 interagency government report. I think there were 16
2 or 18 government agencies that wrote it. It was an
3 inch thick at least. I probably didn't look at all
4 the backup materials. But, you know, and then you
5 start finding there's a report after report after
6 report. And I'm not saying that those reports could
7 fill the room, but there have been a lot of reports.
8 There's a lot of expertise. And then you look at --
9 and there's been a lot of time, a lot of time.

10 And then you say, well, how much progress is
11 there? How much has really been implemented? How
12 many dollars have been invested? And it's really
13 pretty small. There's only -- depending on how you
14 count, there's only 16 projects that have been
15 implemented. The only real business case there is for
16 carbon capture use and storage is where you have high-
17 purity CO₂ going into EOR.

18 Not much else has really gone. And I'm not
19 taking away from projects like the Petra Nova
20 demonstration plant, which is a success, and others.
21 A lot of the CO₂ that's used -- I was surprised. A lot
22 of the CO₂ that is used in EOR comes from CO₂
23 reservoirs. It's not even anthropogenic, you know.
24 And so I looked at that and said, wow, you know, a lot
25 of expertise, a lot of technology, a lot of effort,

1 more and more consensus of how important this is to
2 the energy transition, to the dual challenge, to
3 however you want to look at the future, but not a lot
4 of horsepower to the rear wheels here.

5 And so my reflection as the chair was what's
6 going to be different about this study. And I really
7 felt that from Secretary Perry was in terms of the
8 roadmap, it's I want to -- you know, I need a short-,
9 medium- and long-term plan, something that will work
10 because, you know, where we've been in the past really
11 has not made the progress that we should. America has
12 an abundance of resources. We have an abundance of
13 industrial technologies and skill. We could be a
14 leader in this.

15 So that's really the starting point for this
16 project and how myself and the team have been looking
17 at it. And so here's really the issue. It's, you
18 know, define the pathways leading to CCUS deployment
19 at scale.

20 Now we haven't defined what is deployment at
21 scale. What I can tell you today is that there are 16
22 projects. They abate about 29 million tons per annum
23 of CO₂. It's pretty tiny. It's pretty, pretty small.

24 So one of the things we've got to do, and it's one of
25 the requests, is define what does success look like

1 and what does scale look like.

2 So we will do several things in this study.

3 We'll evaluate the entire value chains, all the way
4 from capture through to the use and/or storage,
5 through diverse industrial sectors and fuel types. So
6 we'll look at, you know, our sector in EOR. We'll
7 look at the power sector, both gas-fired and coal-
8 fired. We'll look at different fuel sources: oil,
9 gas, coal. We'll look at the full value chain in this
10 study.

11 We will establish the business case for CCUS
12 in the United States of America. We'll look at a
13 broad range of factors that are consistent with the
14 Secretary's letter. He lists them all out. There's,
15 you know, technology, legal, regulatory, economics, a
16 number of different things that we need to look at.
17 We're going to focus primarily on accelerating the use
18 of carbon capture in the United States, but we want to
19 look at that from a standpoint of learn from abroad,
20 make sure we're connected in with what's happening
21 around the world, but how could the U.S. be a leader,
22 and how could this impact jobs and technology and help
23 us to take a leadership position here.

24 And then, finally, I mentioned it, but it's
25 to deliver an actionable set of recommendations. You

1 know, one of the things that I've tried to do, and
2 I've asked the team to do, is look at every one of
3 these reports, look at their roadmaps, look at what
4 they recommended, try to understand why those
5 recommendations didn't go forward, and then take it to
6 the next level in our report, really pinpoint not only
7 what needs to be done but why it needs to be done, and
8 get underneath.

9 A lot of the reports that I've read kind of
10 had high-level, you know, there needs to be a policy,
11 there needs to be regulatory improvements to reduce
12 uncertainty. And I'm being a little bit facetious
13 here, but they are kind of high-level. There needs to
14 be a price on carbon, but then nothing else.

15 So what happens if there's not a price? You
16 know, so we need to actually look at across the
17 complete chain different options, short-, medium-, and
18 long-term, and really try to be specific to meet the
19 requests of the Secretary.

20 The guiding principles, you know, this
21 redefine, that's a word that we chose because of my
22 context up front, which is there's been a lot that
23 have been done in this area, but what do we need to do
24 in terms of redefining CCUS value in terms of energy
25 security, economic growth, jobs, in addition to the

1 environmental benefits.

2 You know, most -- there's more and more
3 consensus of how important CCUS will be in the long-
4 term future, you know, from now out to 2100. There's
5 more and more consensus about the dual challenge.
6 There's no doubt that energy demand in this world is
7 going to continue to grow, and it's growing because
8 there's more people and there's more people that are
9 going into the middle class, and there's a strong
10 demand, and they want reliable, affordable, and secure
11 energy.

12 There's more energy in this planet than will
13 ever be produced, and they all come with different
14 price points, and they come with different carbon
15 footprints. At the same time, the world and different
16 geographies are asking more and more to create more
17 energy with lower emissions. It's a wonderful
18 challenge, and CCUS fits right in the cross-section of
19 that challenge, and so this is a project that's
20 timely.

21 A number of the experts that I've talked to
22 in this also say the time is now. You know, if we
23 miss this opportunity, 10 years down the road we may
24 have missed it. So we need to get this right.

25 We want to maximize the use of prior

1 studies. We want to engage a broad participation from
2 industry, government, NGOs, and academia, including
3 really collaborating and coordinating with the
4 National Coal Council, because they've done a lot of
5 work in this area. We want to play to the
6 organizational strengths and get the best, brightest,
7 you know, people that we can to help us.

8 I mentioned the global perspectives. And we
9 are closely coordinating with Alan and Amy on the
10 infrastructure study. There's two key areas. They're
11 doing the infrastructure study. We're doing the CCUS
12 study. You know, both of us are going to do an energy
13 outlook. It wouldn't be very good for the one study
14 to have one energy outlook and the other one to have a
15 different one. So we're going to link and coordinate.

16 Another one is pipelines. If you're going
17 to transport CO₂ from the sources of CO₂ to the sinks,
18 EOR reservoirs and stuff that are short, well, there
19 needs to be a look at pipelines, you know, so we'll
20 be -- those are two areas where we're closely
21 coordinating.

22 Here is the committee. There's a steering
23 committee with nine participants. They're all
24 engaged, and I appreciate them very much. And then
25 there's a study committee, which has got 59 people

1 that have been requested to be part of the study
2 committee. That's about 25 percent of the council.
3 So far, we've gotten very positive feedback from the
4 study plan, from the work plan, and we've got
5 100 percent support for the study work plan, the time
6 line, the guiding principles, et cetera.

7 As Darren said and as Greg said, where the
8 work really gets done is in the coordinating
9 subcommittee. That's Carol from the previous one,
10 leads the Arctic study. Well, the person doing that
11 for us is Cindy Yeilding, sitting in the second row.
12 So you can thank her, buy her a coffee or whatever
13 afterwards, but a lot of heavy lifting. And her
14 cochair is Steve Winberg, who is right sitting next to
15 her. Well, I'm glad you guys are sitting next to you.
16 You're still friends.

17 But we've got a great coordinating
18 subcommittee with good balance, and they spend a lot
19 of time, and I appreciate them very much.

20 So how did we organize? You know, we looked
21 at previous studies. The organization is critical
22 because we've got a lot of people involved. So,
23 essentially, we have three task groups, you know, and
24 they're the ones in the light yellow across the top.
25 You've got the energy outlook. That's being led by

1 Jason Bordoff. You've got technology, CCUS
2 technology, which is being led by Roxanne Walsh from
3 Southern. And you've got the enabling factors for
4 deployment being led by John Gunn from ExxonMobil.

5 Below technology and below the enabling
6 factors are subgroups, and they're being led. So, on
7 the technology, we've broke it out to capture, so
8 capture the CO₂, transport it, use it, store it, and we
9 wanted a separate group for EOR because it's slightly
10 different storing it in a saline reservoir versus
11 using it for EOR. And there's different expertise and
12 different people, so that.

13 And then, on the Task Group 3, on the
14 enabling factors, you got policy, regulatory, and
15 legal, and then stakeholder engagement, and then
16 cross-industry integration. We've had several
17 comments of how important it's going to be to get the
18 stakeholder engagement right because, for whatever
19 reason, there is some negative connotation of CCUS,
20 and that's not going to help us as we try to advance
21 the technology.

22 I would say right now where we are -- and is
23 that there's probably -- there's enough work on energy
24 and emissions landscape to write the report, and that
25 team is actually writing now. Technology, you know,

1 there's 16 projects. I've told you there's a bunch of
2 different reports being written, so that's pretty much
3 ready to go, and that's being -- those reports are
4 being written now.

5 The real focus area of what's going to
6 differentiate this study for the NPC is really in the
7 work that we do in the enabling factors, and also the
8 integrative economics and the roadmap, the roadmap
9 actually taking those enablers, looking at the
10 economics, and then putting the roadmap together for
11 Secretary Perry and his team. And so we're focused on
12 getting as much as we can done now on the energy
13 outlook, get the technology understood and done so
14 that we can focus on those critical areas because
15 that's what's going to differentiate this study.

16 Here's the -- I mentioned the participation
17 list is diverse. It's kind of -- you can see it in
18 the pie chart. I mentioned we have 192 people from
19 109 different organizations. So we feel good about
20 the -- and there's, you know, a couple -- you know,
21 there's no real high-level request. We got the team
22 that we need. There's a couple specialists that we're
23 looking for. But it's all in hand, I would say, and
24 we're very satisfied with the leadership and the
25 participation levels that we've gotten and the level

1 of commitment and the level of drive that we've got.

2 So the progress. The study's on track for a
3 September 19 delivery. Now I will admit that in the
4 steering committee meeting this morning at breakfast,
5 I said, you know, it's very difficult for me because
6 I've not chaired a study. And I'm used to kind of
7 being in there and knowing and having early warning
8 signals and KPIs and an operating system, a
9 performance management system, to manage delivery.

10 What we've done now is we've delegated out
11 to all these task groups and all these leaders, and
12 there's these big groups that are, you know, working,
13 and between now and May, they're going to be writing a
14 bunch of reports, and then we need to integrate all
15 that and get a report out shortly thereafter. And,
16 you know, it's hard to see how things are going.

17 So, anyway, for all of you that have people
18 that are working on one of these teams, keep the
19 pressure on them, Betty, because we need to get the
20 work done and in quality. We've got the diverse
21 participation. We've got the work plan submitted and
22 approved. We completed an initial framing exercise,
23 and one of the -- I want to give Scott Nyquist with
24 McKinsey some credit here. They were -- as we were --
25 as I was looking at my own transition from BP, we were

1 talking about what we were going to do next and having
2 a chat, and I said -- I talked about this NPC study.
3 And they're all, oh, that's very interesting, and I
4 said, would you like to help. Well, yeah, let me talk
5 about it. And I said, would you like to help for
6 free. And, Scott, you said yes, and I appreciate it,
7 and they've given up some of their consulting time to
8 help.

9 And the framing exercise that we did, it was
10 a seven-week study that we did with many of you in the
11 room. It created a starting point for the task groups
12 to work. It identified what the critical workstreams
13 were and what the interdependencies were, and it
14 helped us test and refine the work plan. And so it
15 enabled people to have a guide and a plan going
16 forward. And that's gone really well.

17 We got a report outline developed. One of
18 the things that we noticed on every NPC study and
19 report is the quality of the outline. They're
20 actually quite long and very detailed. And we
21 thought, well, that's a good way of actually managing
22 to make sure we don't have any holes and that we
23 got -- you know, we put accountability on each part of
24 the report. Let's do the outline for the whole
25 report. So at least we've got a draft of that. It's

1 being worked. But, to us, that's a critical factor,
2 and the integrated time line.

3 So last slide. Let's see if I can do this
4 right. I don't think I can. I was going to get it --
5 look, you don't -- it's complicated. What you need to
6 look at is where we are today, which is in December.
7 This is this meeting we're in right now. And there's
8 going to be a draft, a draft report completed in the
9 middle of May. And then all those kind of bullets and
10 triangles in the middle is when draft chapters and a
11 bunch of writing and a bunch of integration is going
12 on.

13 So there's a lot of work between now and
14 May. We do have a plan. We do have commitment from
15 each of the task group leaders. They've delegated
16 activities out. But, ultimately, we want to be
17 sending to the steering committee and the study
18 committee a final report in August of next year in
19 order to meet the September deadline, and that's our
20 plan.

21 So it's exciting. I think it's timely. And
22 I'm very happy to have been asked, Greg, to chair and
23 put in a lot of effort. And this report is not for
24 any one company or industry. It's for the membership
25 of the NPC, and it's for Secretary Perry for the

1 purposes of, you know, strategic guidance for our
2 industry for the United States of America.

3 So, with that, I'll finish and open it up to
4 any questions or comments that anybody might have.
5 How am I doing on time?

6 CHAIRMAN ARMSTRONG: Ten minutes.

7 MR. MINGÉ: Okay.

8 CHAIRMAN ARMSTRONG: Any questions for John?

9 (No response.)

10 CHAIRMAN ARMSTRONG: This is kind of a
11 questionless crowd today.

12 MR. MINGÉ: Yeah. Okay. Well, thank you,
13 everybody. Appreciate it.

14 (Applause.)

15 CHAIRMAN ARMSTRONG: So we're doing good on
16 time right now. We're moving right along pretty much
17 on schedule. The final study report today is on
18 infrastructure, and the committee chair is Alan
19 Armstrong. And for those that are familiar -- and you
20 kind of heard it from Secretary Zinke -- you know,
21 we've got a huge resource base and a very positive
22 outlook for developing that and production levels in
23 line with, you know, roughly what he was saying, 14
24 million barrels-plus. One of the significant gaining
25 items on that is do we have the infrastructure as we

1 hit these record production levels that have never
2 been seen before in the United States, and that's the
3 massive undertaking that Alan and his team are working
4 through, and I think, a little bit like John has
5 realized, it is, in fact, much more complex than it
6 appears on the surface.

7 With that, I'll turn the podium over to Alan
8 Armstrong to give you a report on the status.

9 MR. ARMSTRONG: Thank you, Greg. Good
10 morning, everyone, and thank you all for being here.
11 It's quite an impressive group that's assembled here
12 for the National Petroleum Council. And I really was
13 immediately -- you get those calls being asked to take
14 on something like this, and you think, man, I have no
15 idea where that's going to fit into the calendar. But
16 on the one hand -- on the other hand, this is such a
17 critical issue in terms of the infrastructure here in
18 the U.S. and our ability to get it built in a more
19 timely basis and in a way that's responsible to the
20 concern of stakeholders in the community and,
21 importantly, in a way that adds a lot of value to our
22 country and to the industry.

23 And so, with that, rather than sitting in
24 Tulsa and griping about things that go on outside of
25 there, I decided to take Greg up on this. So I'm very

1 honored to be co-chairing this with Deputy Secretary
2 Brouillette. And so I'm going to go through the --
3 very similar to what you heard from John, I'm going to
4 go through and talk about the questions that were
5 posed and how we're formed today to address those
6 questions.

7 Before I get into that, I just wanted to
8 say, you know, you heard this very healthy paranoia
9 from John about not being certain about where they
10 stood on the study and where the progress was. I'm
11 here to tell you I do not share that paranoia. I am
12 certain we are behind.

13 (Laughter.)

14 MR. ARMSTRONG: So we've got a very broad
15 topic with the infrastructure, and keeping that scope
16 narrowed is certainly going to be a challenge as we
17 move forward, and everybody has very important issues
18 that they want to be addressed from across the various
19 industry and different associations, and trying to do
20 that in a way that makes sure the most important
21 issues and the questions are answered is certainly a
22 challenge for us.

23 So, as we get into this, first of all, just
24 the questions that were posed here, you can read on
25 the slide here, but I'll give you the things that I

1 think the most important elements of these questions
2 are. First of all is how do we ensure that we have
3 the infrastructure we need to serve the public under a
4 variety of supply and demand scenarios, and
5 particularly with the advent of Shell production. So,
6 as we've heard all morning, a lot of production to
7 take care of, but we've got to be able to get the
8 product to market.

9 And importantly, not just from a supply
10 perspective and a supply push perspective, but as well
11 we have important markets that need to be served with
12 product, and I think having Russian LNG cargoes coming
13 into Boston last winter is great evidence of the fact
14 that we could be doing a lot better job here in the
15 U.S. on that front.

16 We also need to understand where we have
17 physical constraints to our growth and how we can
18 overcome those constraints. We need to understand how
19 we best address the stakeholder concerns that
20 challenge adequate infrastructure development. And I
21 would tell you this is at the heart of some of the
22 most difficult things that we have to answer, is
23 really understanding broadly where these stakeholder
24 concerns are and not just attempting to run over the
25 top of those concerns but really hear them and think

1 about how we can address them productively and how we
2 can educate around those concerns.

3 We also need to work -- and I think there's
4 a lot of room for improvement on this -- how federal
5 and state governments work together to make the
6 permitting process more efficient, and in taking on
7 policies like NEPA, and how those can be improved to
8 have a much clearer path forward on policies. And
9 certainly I can tell you from a Williams perspective,
10 the challenge that we have today between state and
11 federal authority over pipeline siting in particular
12 really has a lot of room for improvement, and we
13 really need to focus on the real regulatory authority
14 that's been provided and making sure that that
15 authority is being solely for its purpose.

16 And I would tell you things like the Corps
17 of Engineers 404 permit, along with the state's 401
18 authority is a perfect example of where we've kind of
19 gone awry on where the real level of authority
20 resides, and so an important opportunity to address
21 that within the report.

22 And so, certainly, the policy as we go --
23 sorry, the process as we go forward, first of all, a
24 lot of activity going on right now around data
25 collection and further defining the scope, so a

1 tremendous effort, as you can imagine -- you'll hear a
2 little bit more about some of the data that's been
3 gathered here -- and then describe and define the
4 challenges and the barriers, and then finally, then
5 work to write up recommendations to address those
6 challenges and barriers.

7 So that's the process as we have going
8 forward, and a tremendous amount of people working on
9 that as we speak.

10 Just to look at the overall organization
11 structure here, you can see first of all the study
12 committee, which I'm chairing, along with Dan
13 Brouillette from the DOE, and then the study committee
14 members. For those of you I just sent a letter out
15 last week and thanks to you all that have already
16 replied to that. I look forward to hearing both your
17 review of the study -- and there's a lot of detail in
18 there in the work plan that's already been provided to
19 you, and look forward to hearing comments back from
20 you.

21 I've gotten several really insightful
22 comments back already, and keep those coming. Those
23 are very helpful. And then below -- and so you can
24 see, of course, the study committee is a much broader
25 group. In fact, it's about 25 percent of the NPC

1 committee, and then, as I'll introduce in a minute,
2 then we have a steering committee that is collected
3 out of that group.

4 Below that, where the real work is getting
5 done, is Chair Amy Shank. And Amy's right down here,
6 and a big thanks to her for taking on the chair of the
7 coordinating subcommittee. And for those of you all
8 that hadn't been involved in that, that really is
9 where a lot of the cat herding goes on. And she has a
10 co-chair, Shawn Bennett, from the DOE. Thank you,
11 Shawn, for your contributions there. And you can see
12 the rest of the organization around that.

13 Underneath that, the task group leaders --
14 and there's four task groups, and I'll define this
15 further in a moment. But Paul McNutt with
16 ConocoPhillips is taking on the supply, demand, and
17 resiliency task force. Telisa Toliver with Chevron is
18 taking on the infrastructure mapping and analysis.
19 And I want to say a big thanks to Michael Worth and to
20 Chevron. We actually had -- Sempra was leading this.

21 They pulled out of that effort, and Chevron agreed to
22 step into the breach on that here last month, and so I
23 really appreciate them taking that on, and Telisa's
24 dug in very quickly on getting up to speed with that.

25 Then on the permitting license and social

1 license to operate -- and that is a mouthful and
2 probably the most challenging, I would argue, of all
3 the efforts here because there's so -- this is where
4 so many different opinions and stakeholder opinions
5 come together. Mark Gebbia with Williams and Marie
6 Dunn with Phillips 66 are heading that up.

7 And then finally, on technology advances and
8 deployment, which is really kind of a very interesting
9 area because there are a lot of things that can be
10 done when you really dig into it on the technology
11 side, and Jay Churchill with Phillips 66 is leading
12 that for us.

13 So a real quick look here at the steering
14 committee that's been formed, and so a big thanks to
15 these folks, and we will -- we've met once. We've got
16 another meeting coming in February where we really
17 start to parse out some of the competing issues that
18 are surfacing in terms of the bandwidth that we have
19 within the committee to do. You can see here what all
20 has gone on with the study committee and talked about
21 that a little bit earlier.

22 The coordinating subcommittee here, this is
23 a fantastic group of folks, a lot of expertise on this
24 list, and very thankful for the energy that's come
25 forth from this group today, but I can tell you this

1 is a pretty powerful team here in terms of their
2 knowledge and their access to resources throughout
3 industry and the government.

4 Looking at the study team composition, so
5 this is the coordinating subcommittee and the folks
6 that are populating the effort below that. And so you
7 can see here that we really have worked to have a
8 variety of input from folks. And so we've got about
9 144 members now within the team from 69 different
10 organizations, and that is growing. And if you want
11 to be a part of that, we have -- Amy has plenty of
12 places for you to plug in, so we'd love to have your
13 support within that team.

14 So now on to just looking at a little more
15 specificity around the four different task groups, and
16 you can see the structure here and how that's broken
17 down, and there they have three different areas, the
18 supply, the demand, and the resiliency. And,
19 obviously, this resiliency issue is critical. The
20 technology group is actually taking on some of the
21 issues relative to cyber concerns and so forth around
22 resiliency. But I will tell you that as well,
23 understanding the flows on the systems and the
24 redundancy of our systems is an important area for
25 this group to study as well.

1 And really, probably -- this is, you know,
2 obviously a lot of opinions. As Daniel Yergin and
3 folks like that could tell you, a variety of opinions
4 to reconcile here within the supply and demand, and,
5 certainly, we're not trying to say exactly what supply
6 and demand looks like here. We're simply saying under
7 a variety of conditions, including a low-carbon
8 environment, all the way to an all-out full production
9 limits here in the U.S. are kind of the ranges of
10 that, and trying to understand the infrastructure
11 challenges that would be associated with that.

12 On the infrastructure mapping and analysis
13 task group, imagine this task if this was yours to try
14 to describe all of the infrastructure starting at the
15 processing plants and at the refineries that are in
16 scope as well, and describing all of the
17 infrastructure here in the U.S., so a major challenge
18 just to describe what we have today, and then as well
19 thinking about, along with the supply and demand
20 effort, thinking about where the need will be for
21 infrastructure in the future.

22 I can tell you without that study being
23 completed that getting gas from the lowest-cost place
24 in the U.S. in Susquehanna County, Pennsylvania, into
25 New England is one of those constraints. So I've

1 already done my part for that team. But as well,
2 we're also looking at LNG terminals, waterways, ports,
3 and railroads as well. So a very broad overview of
4 the infrastructure here in the U.S. And, again, the
5 job here is to assess what we have today and how that
6 will change with the changing supply and demand
7 developments here in the U.S.

8 On the permitting, siting, and social
9 license to operate, again, this is a really large
10 challenge for folks that are in the business of trying
11 to site LNG terminals, pipelines, refineries. This
12 has gotten to be a very big challenge, and sometimes
13 to the point where we're really standing in our own
14 way in terms of reducing emissions in areas. We
15 really are not approaching this from my vantage point,
16 we're not approaching this from a very educated point
17 of view as we try to site infrastructure that can even
18 further reduce emissions. And so a lot to be done
19 here.

20 I will say that as we think about climate
21 change and we think about a low-carbon environment as
22 well, that's something to be considered here as well.

23 And importantly, one of the things that's come front
24 and center has been if you think about some of the
25 challenges on the permitting front right now, it has

1 been the courts and the FERC in particular questioning
2 what should a pipeline look at in terms of both the
3 upstream impact on emissions and the downstream impact
4 on emissions. That's a pretty hefty challenge to
5 think about, but this group really needs to help
6 address how do we need to be thinking about that from
7 an infrastructure, permitting, and siting standpoint
8 because, whether we like it or not, those challenges
9 are out there, and we need to be able to describe how
10 to address that.

11 So I would tell you of all the things that I
12 think will be most informative to the DOE, I think
13 this area in terms of how we can streamline permitting
14 and how we can actually address stakeholder concerns
15 in a constructive manner and objective manner, this is
16 going to be the meat I think a lot of the report
17 coming out.

18 And so you can see here quite a bit more in
19 detail on there. I'm not going to read all that to
20 you, but, certainly, the low-carbon scenario there is
21 one that I think is challenging for all of us to think
22 about but nevertheless one that we need to be able to
23 address.

24 On the public outreach for this team, you
25 can see here what's gone on to date. There's been

1 three listening sessions with 25 participants from
2 environmental NGOs, agriculture, and local government
3 officials, and then as well separate discussions with
4 Native Americans and unions, and a lot of literature
5 search and review by industry has gone on as well.

6 So this team has really dug in. There's a
7 lot of progress that's been made in this area to date.

8 But you can see here as you start touching on some of
9 these, this will get pretty prickly in terms of how we
10 deal with things like the FERC process and the
11 adequacy for climate change impacts of energy use.

12 So I think this is one of the most
13 challenging, as I mentioned. If you think about
14 trying to predict based on a pipeline being built,
15 trying to predict what the changes in energy use and
16 climate change might be around that, that is very
17 daunting because it's not really the pipeline, it's
18 not really the producer. It's really the consumer
19 that is making the choices about how to consume
20 energy, and yet the pipelines and sometimes the
21 production companies are actually being held
22 accountable for that, even though it's a consumer
23 choice. And so I think we've got to be able to
24 educate and define around this particular item.

25 This is an overview then of the technology

1 group and some of the things that are being addressed
2 here. As you can see on the bottom there, the cyber
3 security threats to the operating controls -- a lot of
4 misunderstanding in this field within -- between
5 regulators and concerns by regulators, as well as the
6 operators being able to inform what the capabilities
7 are of the pipeline systems and what the
8 vulnerabilities may be around pipeline controls.

9 And so I can tell you I've been on the edge
10 of a lot of these discussions, and this is pretty well
11 misunderstood by folks today in terms of really what
12 cyber security threats really look like to the
13 pipeline grid in particular. And I think a lot of
14 education can be done on this front that will be very
15 helpful for the DOE and for Secretary Perry.

16 So I'm looking forward to the work that's
17 being done on this. Also, a lot of work being done
18 and improvement around facility integrity. And if you
19 think about how this effort meshes up with the earlier
20 topic of a social license to operate, having good
21 technology use and knowing the integrity of our
22 systems and the safety of our systems, and being able
23 to educate the public about how we can use that
24 technology to make our systems safe is really
25 important. And so a lot of overlap here and

1 integration between the social license to operate and
2 how we use technology to keep our systems safe, so a
3 very important element of the study as well here.

4 And then, finally, you can see the study
5 schedule, and you can see that come August, everything
6 in the entire effort's going to get done in August
7 because we've got an October end date to this, so a
8 pretty compressed schedule that we've got going on,
9 and a lot of hard work gearing up right now as we move
10 out of the data collection. There's still quite a bit
11 of data collection, but as we start to move out of
12 that and start to define the barriers and the
13 challenges that exist.

14 So a little simpler graph than John's graph
15 was because I was struggling to figure that one out.
16 This is more an Oklahoma style schedule, so I've got
17 this one covered.

18 So, with that, I will take any questions or
19 comments anybody has. Thank you.

20 CHAIRMAN ARMSTRONG: Any questions for Alan?

21 MR. ARMSTRONG: Yes, Daniel. Oh, sorry.

22 MR. SULLIVAN: Bob Sullivan, Synex. Just an
23 observation/recommendation. We constantly hear about,
24 as you addressed earlier, the problem between
25 coordination between state and federal interests, as

1 well as the constraints placed upon the development of
2 pipeline capacity by NEPA. In the 2013 surface
3 transportation law, there was a categorical exemption
4 provided for utilities built along or across a federal
5 aid highway right-of-way. And to what extent is that
6 potentiality being developed when you consider that
7 some of these rights-of-way are quite massive,
8 anywhere from 120 to over 300 feet wide? Is that
9 something that the study is considering as a potential
10 option?

11 MR. ARMSTRONG: Yeah. Amy, I'll look to see
12 if you've got -- understand that level of detail.

13 MS. SHANK: Not yet.

14 MR. ARMSTRONG: Okay.

15 MS. SHANK: We haven't gotten to that level
16 of detail yet, but we're still digging in, and I
17 believe that we'll uncover that and consider that as
18 well.

19 MR. ARMSTRONG: Thanks for the comment and
20 the insight on that. Thank you.

21 AUDIENCE MEMBER: Thank you, Alan, and thank
22 you, John, for taking on these studies. Alan, if it's
23 not premature, you said that the cyber threat is
24 misunderstood. Would you want to elaborate a little
25 bit what you had in mind there?

1 MR. ARMSTRONG: Sure. And so, as a lot of
2 you all probably know, a lot of concern -- and believe
3 me, you know, within the pipeline world, a lot of
4 effort. We see attacks against our systems every day,
5 against our data systems, and we work to have those
6 error gaps in between the web and our systems. But
7 even without that, there is a lot of hardware, local
8 hardware, control that allows these systems to
9 continue to operate safely for a period of time, even
10 if we were to lose some of those controls.

11 And so it would be uncomfortable, but I can
12 tell you that we've had those circumstances within
13 some of our largest pipelines already, not from cyber
14 attacks but from other system outages. And so I think
15 people appreciating that degree of control that
16 already exists and the hardware that's available on
17 the systems is probably pretty important before we
18 conclude that an attack would be an absolute
19 catastrophe on the systems. Thank you for the
20 question.

21 Other questions?

22 (No response.)

23 MR. ARMSTRONG: Okay. Hearing none, thank
24 you all very much. And I will just say in closing,
25 the study committee -- a lot of you all have just

1 started to engage on that. Would love to hear your
2 comments. Feel free to give me a call if there's any
3 way that you'd like to contribute further to the study
4 and make sure that your input is heard and engaged on
5 that, and as well make a pitch for Amy, who is
6 constantly looking for resources and people that are
7 anxious to dig in and help as we get into the writing
8 phase.

9 So thank you very much for your attention
10 this morning.

11 (Applause.)

12 CHAIRMAN ARMSTRONG: I want to thank both
13 John and Alan for agreeing to undertake the studies,
14 as well as Darren and Carol Lloyd for jumping into the
15 breach here quickly on the Arctic potential study.

16 I would also just take the opportunity to
17 put in a little bit of plug for the NPC staff. If you
18 can imagine, we've got, you know, the two studies we
19 knew coming in to 2018, '19, and then adding the
20 Arctic potential. So, as busy as each of the
21 individuals are, then Marshall and John Guy and Jim
22 Slutz are all basically trying to help -- I think --
23 what did you call it? -- cat herding throughout this
24 whole process. So a big undertaking this year for the
25 council going into next year, and we look forward to

1 trying to pull this all together toward the end of
2 August, September, October 2019.

3 So the next on the agenda -- and I don't
4 know if -- is Secretary Perry here yet? Oh, he's
5 here? So what I'll do is turn the podium over to
6 basically Mark Menezes, who's going to give us some
7 comments and I think introduce Secretary Perry. So we
8 will get a chance to hear from both of them.

9 So, Mark, if I can --

10 MR. MENEZES: Well, thank you, Greg. Before
11 I introduce Secretary Perry, who I'm assured is in the
12 building and on his way to the table, I too would like
13 to thank all the members of the council and the
14 council staff for their hard work and incredible
15 commitment of time and expertise to produce the three
16 studies that you've heard so much about here this
17 morning.

18 The first, a follow-on assessment of the
19 council's 2015 Arctic potential report was requested
20 as a cooperative activity with the Department of
21 Interior, as Secretary Zinke had noted. Now we both
22 had requested the study because there's significant
23 potential, as we've seen, for Arctic oil and natural
24 gas resources to be part of this exceptional moment in
25 America's history in global energy production and

1 delivery.

2 What's more, as mentioned by both Mr. Woods
3 and Ms. Lloyd, there have been significant advances in
4 Arctic innovations, technologies, and operational
5 experience that will allow us to both grow our economy
6 while protecting our environment. So I applaud the
7 council for its prompt response to the Secretary's
8 request, and we look forward to your final report,
9 which we hope is produced in February.

10 Now the council's ongoing study on carbon
11 capture, use and storage will also be of significant
12 interest to a variety of stakeholders, certainly to
13 government agencies and policymakers and, importantly,
14 to industry. As explained by Mr. Mingé, the objective
15 of this study is to define potential pathways leading
16 to CCUS deployment at scale in the U.S. as we build on
17 the technology and expertise developed overseas and
18 the opportunities overseas. It's a comprehensive work
19 plan that will result in a fresh look at this topic,
20 with a focus on the business case for CCUS in terms of
21 energy security, economic growth, jobs, while also
22 protecting the environment through carbon dioxide
23 capture.

24 So we appreciate your commitment to this
25 study, and we look forward to seeing its

1 recommendations next fall in the integrated roadmap
2 for CCUS deployment and the number of ways it will
3 offer for ensuring our continued leadership in the
4 CCUS technologies, and I too would like to point out
5 and thank you for the roadmap to the roadmap on the
6 last slide of your presentation.

7 Finally, we're also excited about your work
8 regarding the oil and gas transportation
9 infrastructure study, as discussed by Mr. Armstrong,
10 even though we know that it's already behind schedule.

11 And as noted by Secretary Zinke, our nation is now
12 the world's leading producer of both oil and natural
13 gas. So it is critical that we are able to build the
14 infrastructure necessary to bring these energy
15 resources to market. Bottlenecks in transportation
16 can strand production, deprive consumers of
17 competitive pricing, and undermine our ability to
18 export oil, natural gas, natural gas liquids, and
19 related products to global markets.

20 And with the foreign policy challenges we
21 face today, maximizing our ability to supply global
22 markets, to be reliable economic competitors with the
23 OPEC countries and Russia, is essential to our
24 economic and national security.

25 So we're confident that with the council's

1 final infrastructure report also due next fall, we'll
2 have a roadmap for building the energy transportation
3 system of the future, with practical strategies for
4 addressing the important concerns of all of our
5 stakeholders.

6 Finally, we are very appreciative of the
7 dynamic and visionary leadership being provided by
8 Darren Woods, John Mingé, Alan Armstrong, each
9 providing a strong and steady hand at the helm of
10 their respective studies. We deeply appreciate your
11 commitment to these projects.

12 As evidenced in the presentation materials,
13 they are receiving strong support from a real cross-
14 section of the oil and gas industry, your employees,
15 other industries, think tanks, academia, NGOs, Native
16 American groups, other interest groups, as well as my
17 colleagues in government.

18 This broad participation should produce
19 detailed and valuable studies that reflect the views
20 of a comprehensive set of stakeholders. And as we
21 discussed at this morning's CCUS breakfast, it will be
22 an enduring studies -- these will be enduring studies
23 that will stand the test of time and serve as
24 reference materials to all policymakers looking at
25 these issues.

1 All three of these reports reflect the fact
2 that we are truly at an extraordinary moment in
3 American energy. It's worth remembering that in 1977,
4 when this council was transferred to the newly
5 established Department of Energy, America was facing
6 long lines and high energy prices. Many considered
7 wise at the time were convinced America's days of
8 energy abundance and production were permanently in
9 the rearview mirror.

10 Yet we didn't have an actual energy
11 shortage. What we had was a shortage of imagination
12 and a loss of confidence in our ability to innovate.
13 Since then, the innovations of our national labs,
14 universities, coupled with the energy and ingenuity of
15 those of you in this room, in the private sector, we
16 have made America the world's leading energy producer.

17 By favoring innovation over regulation, we are
18 successfully developing all of our abundant energy
19 resources: oil, natural gas, as well as renewables,
20 like wind and solar and hydro. That's having a
21 profound impact on America's security and on the right
22 of each American to pursue their dreams.

23 Now, without further delay, I'd like to
24 introduce Secretary Perry. It's been a full year
25 since he's last addressed you at last year's council

1 meeting, and during that time, he has met many of his
2 counterparts all over the world, as well as the
3 department's stakeholders, some of whom are here
4 today.

5 Secretary Perry is an Eagle Scout, a
6 veteran, the longest-serving governor of Texas, a
7 great friend, and a genuine leader of our energy
8 department and of America's ongoing energy
9 renaissance. It's my pleasure to present to you the
10 Honorable Secretary Rick Perry.

11 (Applause.)

12 SECRETARY PERRY: Good job, man. Oh, you're
13 good, Mark. Thank you very much. I was just
14 complimenting Darren on his very gracious move to wear
15 a purple and flecked with gold tie today to just
16 remind everyone of the historic Texas A&M victory over
17 LSU.

18 (Laughter.)

19 SECRETARY PERRY: Well done, well done.
20 That's what you call graciousness right there.

21 (Laughter.)

22 SECRETARY PERRY: Anyway, before we kind of
23 delve into these short remarks, I want to take a
24 moment and just reflect with the rest of the country
25 on ourselves, each of you, and to just remember a

1 great American, a fellow Texan, a patriot. I don't
2 suppose there's ever been anyone, certainly in my
3 memory, and even being a bit of a student of history,
4 that's been any more prepared to be the President of
5 the United States than George H.W. Bush.

6 His service to our country was profound,
7 unparalleled, as I think about his resume, and just an
8 amazingly good and decent man. We'll miss him, but
9 the good celebration is what a life he lived, a life
10 of consequence, his decades of public service. Again,
11 I think the word for me, unparalleled in his service
12 and his work. And he was a good one.

13 So anyway, to each of you on the stage here
14 with us today, thank you. It's another tremendous
15 year that the energy sector, especially in the oil and
16 gas business -- Mark, you made some remarks about, you
17 know, 15 years ago, and there could have certainly
18 been a fellow up here giving a speech on peak oil,
19 which I heard a number of times back in the mid-2000s.

20 But that wasn't the case, and as you mentioned, it
21 was because of people in this room. It's because of
22 visionaries. It's because of the private sector. You
23 know, government had its role in that, and I think DOE
24 and this crowd, those of you in this crowd, have found
25 that way to work together to really make a difference,

1 and all the work that we've done here in the studies
2 that you talked about on, you know, the CCUS, you
3 know, the technologies going into the marketplace and
4 the Arctic oil and gas development. I mean, just some
5 amazingly powerful opportunities for development of
6 our natural resources in this country.

7 So a little over a year ago, I think we were
8 at the Hay Adams, and Zinke and I were -- I told
9 somebody, I said, they must -- they probably had a
10 number of really capable people that turned them down
11 to speak because Zinke and I were the two that ended
12 up being there. So -- but anyway, Ryan and I are
13 great and good friends, and we -- again, sorry you
14 couldn't get anybody better than Ryan and myself to
15 entertain you, but here we are again.

16 So -- but anyway, thank you for allowing us
17 to -- you humor us to let us come and to share with
18 you again our observations and particularly talk about
19 America's energy opportunities. You know, this
20 country has chosen to become a nation that produces
21 its energy in extraordinary abundance. And, again,
22 it's the people in this room. It's the national labs.

23 I've visited all 17 of our national labs now, and
24 they're the most fascinating places with some of the
25 most capable men and women that I've ever had the

1 potential to work with in my life that populate those
2 laboratories, and they are working on this just
3 extraordinarily wide array of energy opportunities and
4 technologies, and we never thought, I don't think, a
5 decade and a half ago -- no one -- well, George
6 Mitchell did. I give George his appropriate dues.

7 There were a few real visionaries, but they
8 were in the minority. But today, we're seeing energy
9 produced more cleanly, more efficiently than anyone
10 ever thought possible. So we're the leader in oil and
11 gas production. I know you've heard these numbers,
12 but they're worth repeating. For anyone who's here in
13 the media as they share this story with what America
14 and American energy is all about, we're on track this
15 year to produce 10.9 million barrels a day. Next
16 year, we're going to -- and they've upped this,
17 Darren. I mean, we're 12.1 million barrels a day in
18 2019. Natural gas production, 83.2 billion cubic feet
19 per day. Next year, we're going to be at 89.6. Both
20 are new records.

21 I mean, this is some -- this is -- these are
22 great strides that we're making. And not just in the
23 fossil fuels side. What we're seeing in the
24 renewables, you know, in the wind and the solar side
25 of things, in nuclear energy, we're producing more.

1 We're emitting less. And that's a story that all too
2 often doesn't get picked up by the global distributors
3 of news. And I think it's important that we remind
4 the world on a regular basis, between 2005 and 2017,
5 the United States led the world in reducing emissions,
6 cutting them, carbon emissions, by 14 percent over
7 that time period.

8 And so last year is the first time since
9 Dwight David Eisenhower was the President of the
10 United States that we were exporting -- we were a net
11 exporter of natural gas. Today, those exports are
12 going to 31 countries on five different continents,
13 and I'm telling you we're just counting. We're
14 ticking up. I was over in the central European
15 region, and there are going to be some countries over
16 there that are going to be buying our products.

17 We discussed LNG as we hit those countries.

18 And we were in Poland, Ukraine, Hungary, Czech
19 Republic, and they understand, you know, cost is just
20 one factor here. But I talked to them about the
21 diversity of supply, the diversity of suppliers, the
22 diversity of roots. All of that is very important as
23 they recognize that the United States is going to be a
24 reliable supplier, that we're going to be a
25 competitive supplier.

1 The situation in Ukraine was and is
2 exacerbated by what Russia is doing with the heating
3 fuel supply for that region of the world. Whenever
4 and wherever I went, that Iron Curtain may be gone,
5 but in some places, the clarity of transparency, the
6 rule of law, the regulatory certainty and other
7 factors are lacking. And that's one of the messages
8 that we time after time, you know, particularly when
9 we were talking to the leadership of Ukraine -- I said
10 the United States wants to come and participate in
11 this part of the world. Our companies want to come.
12 Our private sector companies want to come and
13 participate. Put into place clear transparency, rule
14 of law so that people know that when they come and
15 they invest here that they're going to have the
16 opportunity to succeed.

17 And if you want foreign investors,
18 particularly in the energy sector, for everyone in
19 this room, the key is to improve their business
20 practices. I relayed to them, listen, we got the
21 resources, we've got the technology, we've got the
22 innovation, we've got the knowledge that it
23 transformed our energy sector, and it can do the same
24 in many of those countries in central Europe.

25 I'm not sure there's been a true

1 appreciation of what over 11 billion cubic feet a day
2 of U.S. gas export capacity can do for those
3 countries. But as Poland and other countries, they
4 sign on, I expect that those countries will begin to
5 appreciate what we can do for them, and there will be
6 substantially more opportunities, particularly for our
7 LNG as we go forward.

8 Already, the IEA, world energy outlook,
9 projects that by 2025 we will contribute to half the
10 growth in oil and gas input. Mr. Yergin, that's a
11 stunning fact that you have that type of potential in
12 this country. And the short memory that we have all
13 too often of where we found ourselves 15 years ago --
14 we have come close, I think, to reaching our
15 potential. We've done good work in developing the
16 abundance of the Permian Basin, the Gulf of Mexico.

17 But there's -- and I say come close to
18 reaching our potential. I'm not being critical, but I
19 may sound like that football coach from Alabama that,
20 you know, you're close to reaching your potential.
21 Saban, you know, he's always pushing people to do
22 more, to be better. And, you know, from some of our
23 perspectives, they look pretty damn good already, you
24 know, kind of --

25 (Laughter.)

1 SECRETARY PERRY: Anyway, not to get off
2 subject, so when I talk about reaching our potential,
3 I'm talking about are there places in the United
4 States where we can do even more. And I'm drawn to
5 the Appalachian region. I'm drawn to that Marcellus
6 and that Utica formation that, you know, if the
7 Appalachian region were its own country, it would be
8 the third largest gas producer in the world.

9 So, I mean, the potential raw product is
10 there. So -- and they have particularly wet NGLs that
11 can be separated, value added to them, and a real, you
12 know, key in developing the feedstocks. They can be
13 turned into other products. Unfortunately, even
14 though Appalachian natural gas and ethane are on par
15 with being the cheapest in the world, we're missing
16 that opportunity at this particular point in time, and
17 in some cases, we're burning it away.

18 But where they have the means and the
19 infrastructure, producers are simply shipping NGLs out
20 to other regions, other markets, where they don't --
21 where they like the infrastructure to store the NGLs
22 or the capacity to use them in other ways. They're
23 simply burning them off. And my point is there's this
24 great opportunity in that Appalachian region in a part
25 of the world that truly has great need for that type

1 of economic growth. And I think we can do more. And
2 at the request of Congress, we've spent a significant
3 amount of time studying the matter, and there's -- as
4 I said, there's an amazing opportunity here for us.
5 There's this incredible opportunity, potential for
6 establishing an ethane storage and distribution hub in
7 the Appalachian region and for building this very
8 robust petrochemical industry in Appalachia.

9 That's the bottom line of a report,
10 actually, that we're releasing today, Mark, out of DOE
11 that I hope you have the opportunity to take a look
12 at. The report notes that Ohio, Pennsylvania, and
13 West Virginia, their combined share of U.S. natural
14 gas production has skyrocketed from about 2 percent in
15 2008 to 27 percent last year. And in 2025, the ethane
16 production in the Appalachian Basin is expected to be
17 20 times greater than it was in 2013.

18 I mean, those are some stunning numbers of
19 growth in potential. This is an economic opportunity
20 for a region, as I said earlier, that sorely needs it.

21 In fact, in March of 2018, there was a study by IHS,
22 Marquette. That was a forecast that the region will
23 supply almost 40 percent, almost 40 percent, of the
24 nation's gas supply by 2040. The report also noted
25 that the region has sufficient feedstock to support up

1 to five world-class ethane crackers. We know Shell is
2 building one there now, and those investments in
3 petrochemical production in the region are likely to
4 have a significantly higher return than for those made
5 in my part of the world, in the Gulf Coast.

6 Those investments could create economic
7 security along with increased employment and greater
8 infrastructure development. What's more, nearly one-
9 third of our activity in petrochemicals already occurs
10 within 300 miles of Pittsburgh. These are fascinating
11 facts here: \$300 billion in net revenue, 900,000
12 workers at 7,500 businesses. That's within 300 miles
13 of Pittsburgh.

14 I mean, these are the types of numbers that
15 are shatteringly important, I think, to our country.
16 As our report shows, based on a market analysis by the
17 National Energy Technology Lab, NETL, over in
18 Morgantown and in Pittsburgh, there is sufficient
19 global need, enough regional resources to help the
20 U.S. gain a significant share of global petrochemical
21 market.

22 An Appalachian petrochemical industry would
23 strengthen our energy and manufacturing security by
24 increasing our geopolitical production diversity. And
25 what I mean by that is I talk about energy security is

1 national security. And it's really true. Whether
2 you're in Ukraine or whether you're in the United
3 States, this is a really important concept to
4 understand.

5 One of my great fears as governor was a
6 recurring thought of a Category 5 hurricane coming up
7 the Houston ship channel and the stunning impact it
8 would have over and above the loss of life, which
9 could have been, without a very effective evacuation,
10 massive loss of life. But it also had the potential
11 of shutting down 95 percent of the petrochemical
12 operation in the Texas-Louisiana-Gulf Coast region.

13 I mean, losing that type of capacity -- and,
14 you know, knock on wood, it has not happened. But
15 someday the potential for that to occur is real. And
16 for us to be at this moment in time where we have the
17 potential to be able to diversify our petrochemical
18 footprint, I think, would be very inopportune for us
19 as a country to miss this opportunity, to put into
20 place -- and please don't get -- I'm not pitting
21 one -- nobody gets confused that I don't mind helping
22 my home boys from the State of Texas. And listen, my
23 dad used to always tell me, he said, son, it ain't
24 bragging if you can do it.

25 So I just tell people, I say, listen, I say,

1 one of the reasons I don't mind going and telling
2 people, you know, move your business over here, do it
3 over here, because I know we're going to do a good job
4 of it. But the competition that created across the
5 states -- now Jerry Brown still hasn't forgiven me for
6 going into California and trying to recruit businesses
7 back to the state. But I told him, I said, Governor,
8 this will make your state more competitive.

9 I saw Gavin Newsom. I told him the same
10 thing this Saturday. I said, Gavin, it will make you
11 more competitive. Go put the processes into place
12 that will make your state be more competitive.
13 Building this petrochemical footprint in the
14 Appalachian region of this country will make our
15 country stronger. I will suggest to you it's not a
16 competition for the Gulf Coast petrochemical. It's in
17 addition to.

18 The market is there for us. To go to
19 compete to get it to go put our best foot forward to
20 go compete in the global market of this petrochemical
21 opportunity is a great -- I mean, this is a once-in-a-
22 lifetime chance for this country, and I'm excited
23 about it. Like Shell, there's a number of companies
24 that sees the region's potential and they're investing
25 some serious resources there. Ohio is working with

1 PTT Global Chemicals and others to develop a second
2 cracker over on the Ohio River. Others are
3 considering some new investments in that region. We
4 want to help them. We want to send the message that
5 this is good for them, good for the country, good for
6 the people of those regions.

7 So anyway, I want to wrap up with a word on
8 our potential in November. And I visited my 17th --
9 that was the last of our national labs. I got out to
10 Brookhaven in November to visit that lab. And to
11 reach our potential, whether it's in this
12 infrastructure side that I've just talked about, or
13 whether it's in the innovation side in technology in
14 this amazing and changing world we live in, you know,
15 whether it's in the private sector, whether it's in
16 one of your businesses, whether it's in our national
17 labs, whether it's on a rig, we need to keep pushing
18 forward because America -- America's great hope for
19 the world is American innovation, American technology.

20 And I don't think there's been a more exciting time
21 to be a part of this, certainly not a more interesting
22 -- I'm headed to the Middle East later here, to Qatar
23 and then to the Kingdom, so speaking of interesting --
24 and these are interesting times.

25 But there's never been a more interesting

1 time from my perspective to be in the oil and gas
2 business, and my hat is off to each of you, to this
3 council, for the work that you do for continuing to
4 put America in this preeminent position in the world.

5 And our goal and our pledge to you is to continue to
6 be as effective, as efficient as we can, and to be
7 great partners as we go forward.

8 Thank you, and God bless you.

9 (Applause.)

10 CHAIRMAN ARMSTRONG: Thank you, Secretary
11 Perry, for investing time with us. I know there's a
12 lot of demands on your time, and really appreciate it.

13 I also want to -- last night I made a comment. I
14 said, we're going to need to be a little bit flexible
15 and may have to call an audible so we -- I called the
16 audible, and I dropped the ball. When I was
17 introducing Under Secretary Menezes, I failed to
18 describe a little bit his involvement with the
19 council. And, you know, in addition to his current
20 role, he's had much -- many years of experience in
21 Washington. He's the principal advisor on energy
22 policy and a large array of really existing emerging
23 technologies. And then he's very actively involved in
24 our study. So I apologize for not getting that off.
25 I lost my glasses, and I couldn't see, so --

1 MALE VOICE: (Away from microphone.)

2 (Laughter.)

3 CHAIRMAN ARMSTRONG: Seven overtimes, LSU, I
4 wasn't going to say anything, so --

5 (Laughter.)

6 CHAIRMAN ARMSTRONG: But we've now reached
7 the part of the agenda -- at this point in time, we're
8 going to go into administrative matters, and where our
9 webcast will now conclude. So, for those in the
10 internet audience, we thank you for watching and for
11 listening to our proceedings, encourage you to
12 download or read the final report on the Arctic
13 potential, a supplemental assessment, when it is
14 released, and which will be posted ultimately for
15 final approval early next year.

16 So, at this time, I'm just going to pause
17 for a minute to let the transmission end, and then
18 we'll turn to our administrative matters.

19 First, we have two committee reports today,
20 and we're very close to the end here, so just bear
21 with me. Our first administrative item this morning
22 is the report of the finance committee. Byron Dunn
23 chairs the finance committee but was unable to be with
24 us today, and Greg Arnold, a member of the committee,
25 is going to present the committee's report at this

1 time.

2 So, Greg, please.

3 MR. ARNOLD: Thank you, Mr. Chairman. Since
4 I'm in the way of the door, I'll try to stick straight
5 to the script. Throughout the year, we review the
6 periodic reports of the finance committee. We met
7 twice throughout the year, once in September, again
8 yesterday afternoon. The September meeting included
9 the review of the calendar year 2017 draft audit
10 report and IRS Form 990 with Johnson Lambert &
11 Company, the council's outside auditors. The auditors
12 provided the council a clean opinion letter which
13 agrees that our financial controls are sound.

14 Yesterday afternoon, the committee covered a
15 variety of topics, including projected 2018
16 expenditures and contribution collections, both of
17 which indicated that we should end the year with a
18 small surplus. This is due part in timing to
19 expenditures associated with the infrastructure, CCUS
20 studies, some of which are now expected to occur in
21 2019. The surplus is also due to your excellent
22 response and contribution requests, which is currently
23 98 percent of 2018 budget target.

24 A number of new members were appointed to
25 the council in June. They responded quickly and

1 favorably to their half-year contribution request. We
2 greatly appreciate you for that. In addition, the
3 committee discussed and agreed upon a proposed 2019
4 budget in the amount of \$5,792,000. This budget
5 supports the council's ongoing operation, provides the
6 resources needed to complete the Arctic supplemental
7 assessment, and the infrastructure and CCUS studies.

8 On balance, the proposed 2019 budget is
9 essentially flat to the 2018 budget, with a primary
10 exception that incorporates the previously mentioned
11 2018 study-related carryover expenses and the related
12 modest costs associated with the Arctic update.

13 The proposed budget also continues to set
14 aside funds for the post-retirement health liability,
15 but at a greatly reduced amount from years prior. The
16 finance committee recognizes the recurring economic
17 challenges faced by our members and, despite the
18 increase in the 2019 budget, recommends no increase to
19 individual full-year contributions for '19.

20 The balance of any additional funding will
21 be drawn from the council's contingency fund, which
22 will benefit from the 2018 surplus. Subject to your
23 approval of the budget and contribution
24 recommendation, the council will send individual 2019
25 member contribution requests earlier next year. We

1 encourage you to respond expeditiously in receiving
2 your respective funding requests.

3 Mr. Chairman, this concludes the finance
4 committee report, and I move that the council adopt
5 the current budget.

6 CHAIRMAN ARMSTRONG: Thanks, Greg.

7 So we have a motion to adopt the report. Do
8 we have a second?

9 MALE VOICE: I second.

10 CHAIRMAN ARMSTRONG: Any discussion?

11 (No response.)

12 CHAIRMAN ARMSTRONG: If not, all those in
13 favor, please say aye.

14 (Chorus of ayes.)

15 CHAIRMAN ARMSTRONG: Any opposed?

16 (No response.)

17 CHAIRMAN ARMSTRONG: The report is adopted.

18 Again, Greg, thanks for your participation today.

19 I would make a comment. We did have very
20 good response on the contribution request, but we can
21 always do better. We have a few that are still
22 outstanding. I know we've got some requests for some
23 Form W-9s to go through. So anyway, we encourage you
24 to ante up, and also to honor the requests when they
25 come out. We do have a lot to do this coming year.

1 The next item is the nominating committee,
2 is our administrative item. Jim Hackett chairs the
3 nominating committee, but, again, he's unable to be
4 here. In his absence, Clark Smith, who's a member of
5 the committee, will now present the committee report.

6 Clark.

7 MR. SMITH: All right. Thank you, Mr.
8 Chairman. Good morning, everyone. The nominating
9 committee has agreed on its recommendations for NPC
10 officers and chairs and members of the agenda and
11 appointment committees of the council, as well as the
12 five at-large members of the NPC co-chairs'
13 coordinating committee.

14 Accordingly, on behalf of the committee, I'm
15 pleased to offer the following nominations: for NPC
16 chair, Greg Armstrong; NPC vice chair, Larry Nichols.

17 For the agenda committee, we recommend the following
18 as members: Alan Armstrong, Deb Caplan, Bob Catell,
19 Ray Hunt, Paal Kibsgaard, John Mingé, Bill Way, Bill
20 White, Darren Woods, and Daniel Yergin, with David
21 Seaton serving as chair.

22 For the appointment committee, we recommend
23 the following as members: Nick Akins, Lisa Davis,
24 Larry Downes, Greg Garland, John Hess, Terry Jacobs,
25 Mike Linn, Scott Tinker, John Walker, and Mike Wirth,

1 with Ryan Lance serving as chair.

2 In addition, we recommend the following as
3 the at-large members of the co-chairs' coordinating
4 committee: Kevin Book, Lee Boothby, Leo Denault, Greg
5 Garland, and Kelcy Warren.

6 This completes the report of the nominating
7 committee, and on its behalf, I move that the above
8 slate be elected until the next organizational meeting
9 of the council. Thank you.

10 CHAIRMAN ARMSTRONG: Thank you, Clark.

11 So I have a motion to adopt the report of
12 the NPC nominating committee. Do I have a second?

13 MALE VOICE: Second.

14 CHAIRMAN ARMSTRONG: We have a second. Are
15 there any discussions about the nominations?

16 (No response.)

17 CHAIRMAN ARMSTRONG: If not, for those all
18 in favor of adopting the report, please say aye.

19 (Chorus of ayes.)

20 CHAIRMAN ARMSTRONG: Any opposed?

21 (No response.)

22 CHAIRMAN ARMSTRONG: Thank you. So we're
23 coming in the home stretch here. Before the final
24 item, which is the adjournment, which I hope we get
25 unanimous approval when I propose it, we have an

1 opportunity for any questions or comments from members
2 of the council.

3 (No response.)

4 CHAIRMAN ARMSTRONG: Seeing none, I would
5 make the motion that we adjourn the meeting. Do I
6 have a second?

7 MULTIPLE VOICES: Second.

8 CHAIRMAN ARMSTRONG: All in favor, please
9 say aye.

10 (Chorus of ayes.)

11 CHAIRMAN ARMSTRONG: Travel safe going home.
12 Thank you.

13 (Whereupon, at 11:30 a.m., the meeting in
14 the above-entitled matter adjourned.)

15 //

16 //

17 //

18 //

19 //

20 //

21 //

22 //

23 //

24 //

25 //

REPORTER'S CERTIFICATE

DOCKET NO.: N/A
CASE TITLE: Meeting of the National Petroleum
Council
HEARING DATE: December 4, 2018
LOCATION: Washington, D.C.

I hereby certify that the proceedings and evidence are contained fully and accurately on the tapes and notes reported by me at the hearing in the above case before the U.S. Department of Energy, Office of Energy Efficiency & Renewable Energy.

Date: December 4, 2018



David Jones
Official Reporter
Heritage Reporting Corporation
Suite 206
1220 L Street, N.W.
Washington, D.C. 20005-4018